

UNITED STATES OF AMERICA  
DEPARTMENT OF LABOR  
MINE SAFETY AND HEALTH ADMINISTRATION  
HIGH VOLTAGE CONTINUOUS MINING MACHINES  
PROPOSED RULE

+ + + + +

HEARING

+ + + + +

TUESDAY,

NOVEMBER 30TH, 2004

The Hearing was held at 9:00 a.m., at the  
Radisson Hotel, 2 Waterfront Plaza, Morgantown, West  
Virginia, Marvin Nichols, Mediator, presiding.

PANEL:

MARVIN NICHOLS            Mediator  
ROBERT BORING  
SALWA EL-BASSIONI  
RONALD FORD  
ELIO L. CHECCA  
RON STAHLHUT  
SANDRA WESDOCK

**NEAL R. GROSS**  
COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

## A-G-E-N-D-A

	<u>Page</u>
OPENING STATEMENT	3
PRESENTATION BY MARK FULLER - AMERCABLE	9
PRESENTATION BY LARRY VOCELICH - UMWA	21
PRESENTATION BY TED HOLLAND - UMWA	31
PRESENTATION BY CARL MORRIS - UMWA	34
PRESENTATION BY JIM TAYLER - UMWA	49
PRESENTATION BY MARK COCHRAN - UMWA	56
PRESENTATION BY TIM COX - UMWA	58
PRESENTATION BY DAVID THOMAS - JOY MINING	61
PRESENTATION BY DR. NOVAK	76
PRESENTATION BY DAVE BEERBOWER - PEABODY ENERGY	100
PRESENTATION BY JEFF MIHALLIK - UMWA	106
PRESENTATION BY TIM BAKER - UMWA	109
PRESENTATION BY JOHN PALMER - FEDERAL COAL MINE	135

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 P-R-O-C-E-E-D-I-N-G-S

2 9:00 a.m.

3 MR. NICHOLS: Good morning, everybody.

4 My name is Marvin Nichols, and I'm the Director of  
5 the Office of Standards for MSHA. On behalf of David  
6 Dye, the Acting Assistant Secretary of Labor for Mine  
7 Safety and Health, I want to welcome all of you here  
8 to this public hearing today.

9 This is the fourth and last public  
10 hearing on these two rules. The purpose of these  
11 hearings is to obtain input from the public on a  
12 proposed rule that was published in the Federal  
13 Register on July the 16th, 2004.

14 The modified hearing location and date  
15 notice, as well as the extension of the post-hearing  
16 comment period was published in the Federal Register  
17 on August the 12th, 2004. And we have copies of  
18 these documents at the registration table if you  
19 desire any extra copies.

20 The Proposed Rule we are addressing today  
21 would include construction and design requirements  
22 for approval of high voltage continuous mining  
23 machines under MSHA's Part 18, and Mandatory Safety  
24 Standards for high voltage miners and underground

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 coal mines under Subpart 1 of Part 75.

2

3

4

5

6

The Proposed Rule would also amend Subpart K of Part 75 to allow the use of such machines in permissible areas of underground coal mines.

7

8

9

10

11

Let me take a minute to introduce my colleagues up here. To my left is Larry Checca. Larry is the Chair of this High Voltage Continuous Mining Committee. He is an electrical engineer with our tech support group.

12

13

14

15

16

Next to Larry is Ron Stahlhut, an electrical supervisor in Vincennes, Indiana, our district data office. And at the end of the table is Sandra Wesdock. Sandra is an attorney from our Solicitor's office.

17

18

19

20

21

To my immediate right is Salwa El-Bassioni, Salwa is an electrical engineer in Coal Mine Safety and Health's headquarters office. Next to Salwa is Bob Boring. Bob is an electrical engineer from our A&CC tech support center.

22

23

24

And at the end of the table is Ron Ford. Ron is an economist with my office in headquarters. And at the registration table is Susan Miles. Susan

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is a regulatory specialist in my office in  
2 headquarters in OSRV.

3 This hearing is being held in accordance  
4 with Section 101 of the Federal Mine Safety and  
5 Health Act of 1977, and it is the practice of MSHA,  
6 all of our hearings Formal Rules of Evidence will not  
7 apply.

8 Therefore cross examination of the  
9 hearing panel will not be allowed. But the panel may  
10 explain and clarify provisions of the Proposed Rule.

11 Those of you who have notified us in advance of your  
12 intent to speak will be allowed to make your  
13 presentations first.

14 And I will call the speakers in order  
15 that the requests were made. Following these  
16 presentations, others who request an opportunity to  
17 speak will be allowed to do so. We invite all  
18 interested parties to present your views at this  
19 hearing.

20 And if you are sitting in the audience  
21 now, and wish to speak, please sign in at our  
22 registration table. We will remain in session today  
23 until everyone who desires to speak has an  
24 opportunity to do so.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           Also, if you are not speaking today, we  
2 would like you to sign our attendance sheet at the  
3 registration desk, so we will have an accurate record  
4 of the attendance at this hearing.

5           We will accept written comments and  
6 information at this hearing from any interested  
7 parties, including those who are not speaking. When  
8 I call on you to speak, please come to the speaker's  
9 table and begin your presentation by identifying  
10 yourself and your affiliation, for the record.

11           If you have a prepared statement, or any  
12 supporting documents that you would like to submit,  
13 for the record, please leave a copy with us today.  
14 You can give written comments on this hearing to us  
15 today, or you can send them to MSHA's Office of  
16 Standards, electronically, by facsimile, by regular  
17 mail, or hand delivery, using the address information  
18 in the Federal Register Notice.

19           The post-hearing comment period on this  
20 Proposed Rule will end on December 10th, 2004, and  
21 submissions must be received by that date. A  
22 verbatim transcript of this hearing will be made part  
23 of the record, and it will be posted on MSHA's  
24 website.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           If you would like a copy sooner you can  
2           make your own arrangements with the Court Reporter,  
3           and the Court Reporter company information is  
4           available at the registration table.

5           Before the speakers begin their testimony  
6           I would like to give you some background on the  
7           Proposed Rule that we are here to address today.

8           The mining industry has been moving  
9           toward the use of high voltage continuous mining  
10          machines to increase productivity. This efficiency  
11          can be accomplished with a minimal increase in  
12          machine size. When paired with more efficient roof  
13          bolting and section haulage equipment, a high voltage  
14          continuous mining machine can increase production  
15          over a low or medium voltage continuous mining  
16          machine.

17          These machines use less electrical  
18          current and permit the use of smaller cable. Smaller  
19          cables are easier to handle and can reduce injuries  
20          to miners.

21          MSHA's existing regulation, 30CFR75.1002  
22          applies to the use of electrical equipment and  
23          conductors. This regulation does not allow the use of  
24          high voltage conductors, or cables, except for high

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 voltage longwalls, in or inby the last open crosscut,  
2 or within 150 feet of pillar workings.

3 Consequently mine operators submitted 38  
4 petitions for modification that MSHA has granted for  
5 the use of high voltage continuous mining machines.  
6 Since the Proposed Rule was published, mine operators  
7 have submitted additional petitions, some of which  
8 MSHA has granted.

9 In developing this Proposed Rule we  
10 reviewed the granted petitions for modification. The  
11 Proposed Rule includes most of the provisions from  
12 granted petitions for modification, as well as some  
13 new safety provisions with enhanced safety protection  
14 for fire, explosion, and shock hazard.

15 The Proposed Rule would improve the  
16 design requirements for high voltage continuous  
17 mining machines consistent with existing  
18 requirements, accommodate new design technology that  
19 is practical, and lessen burdens on the mining  
20 community associated with a petition for modification  
21 process, while preserving safety and health  
22 protection for miners.

23 To date we have received five comments on  
24 this Proposed Rule. And you can view these comments

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 on our website. Our purpose here today, then, is to  
2 further receive information on the Proposed Rule.

3 And our first presenter will be MaRk  
4 Fuller, Americable.

5 MR. FULLER: Thank you, Marvin, and my  
6 name is Mark Fuller, with Americable, and we make the  
7 Tiger brand mining cable products. So I asked for  
8 time today to speak and just talk about the cable  
9 design, and some of the things that go into it, that  
10 we have built into it.

11 Americable was involved with this from the  
12 very beginning, and from the very first 2,300 volt  
13 continuous miner. And we met AND came up with  
14 special cable constructions, and special  
15 construction, and it has a lot of features that are  
16 built into it for safety, and for strength.

17 And one of the things I wanted to talk  
18 about first was the jacketing. And one of the  
19 jacketing compounds that I noticed was omitted from  
20 the document RAN1219-AV34, was polyurethane. It is  
21 called TPU, the acronym, that is thermoplastic  
22 polyurethane, and it is an extremely tough jacket as  
23 compared to rubber jackets that everybody is familiar  
24 with, neoprene hypeline and CPE.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1           The polyurethane, of course, is a plastic  
2 as its name implies, but it has some tremendous  
3 physical properties, and is highly colorable, so it  
4 is very visible. Polyurethane has over 5,000 pounds  
5 per square inch tensile, and it is almost double that  
6 of any rubber jacket out there, and the polyurethane  
7 has over 100 pounds per inch tear resistance.

8           And so those two things together make it  
9 almost double any rubber jacket out there. And the  
10 reason I focus on that point is because polyurethane  
11 is extruded only in one layer. The rubber jacket, of  
12 course, has two layers, orange outer And then a non-  
13 black contrasting color inner jacket, and that is CPE  
14 rubber.

15           But the polyurethane, due to the nature  
16 of the material, it is so tough, we extrude it in a  
17 single pass, and it is very, very resistant to  
18 abrasion, also. It is five times more resistant to  
19 abrasion tests in the lab than is the rubber jacket,  
20 most of the rubber jackets out there in the field.

21           So I would ask that that PPU could be  
22 included into this as a, very much a part of the  
23 2,200 volt continuous miner cable, and there are  
24 repair kits available for it, and everything. So it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 can be handled in the normal methods.

2 Looking inside the cable we look at the  
3 power conductors. And this is a 5KV rated cable at  
4 2,300 volts. And being a 5KV rated cable, it has a  
5 strand, of course, and then an extruded strand  
6 shield, which is a semi conductive layer over the  
7 strand to make it nice and round.

8 If you put tapes over the strand there is  
9 high points everywhere there is a bunch of wires. So  
10 the extruded strand shield is certainly a feature  
11 that is incorporated. Also these cables are rated,  
12 and routinely used at 5KV and 4160 and now we are  
13 talking about 2,300.

14 And being a 4,160 volt rated cable it has  
15 110 mils of insulation. And this insulation is good  
16 for 550 volts per mil. In other words, it will hold  
17 two mils, let's see, four mils of this insulation  
18 would hold 2,300 volts. So we have 110 mils of EPR,  
19 that is ethylene propylene rubber.

20 And it is very strong, mechanically, the  
21 EPR rubber in and of itself has 1,700 pounds per  
22 square inch tensile strength. So there is a good bit  
23 of mechanical strength, a lot of mechanical strength  
24 in the insulation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           And, of course, it is very thick, much  
2 thicker than it would need to be if we were designing  
3 a 2,000 volt cable it has only 80 mils of insulation,  
4 some have 70 mils. So we have 110.

5           Secondly on the insulation it is tested  
6 at 13 KVAC, before shipping from the plant. Every  
7 reel gets tested at 13,000 volts AC before shipping  
8 for the plant, so you know it is good solid, and very  
9 pure insulation.

10           When we were talking about the design of  
11 the very first cable, for the very first 2,300 volt  
12 miner, what things can we do to make this cable as  
13 safe as it can possibly be, you know, with our  
14 materials that we have.

15           And one of the things that we came up  
16 with was instead of like other 5KV cables, have a  
17 non-conducting tape over the insulation, let's put a  
18 conductive tape over the insulation. And so you have  
19 100 percent coverage with the conductive material,  
20 with a very good resistance, highly conductive tape.

21           And I brought a data sheet here from our  
22 tape supplier, and it indicates the resistance in  
23 OHMS centimeter, which is how that is measured, and I  
24 will give this to the panel when I'm done.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           But actually the tape material is very  
2           conductive. And in the case of a failure, impact or  
3           a crush, I have seen this myself in the laboratory,  
4           and even on field samples where that tape is crushed,  
5           it has a fabric backing. The fabric is impregnated  
6           with semi-con and the minute that gets down into the  
7           fault area it tracks immediately out and trips.

8           So the semiconductive tape was a very,  
9           very important feature that was incorporated into  
10          this cable for safety. And over the -- the  
11          semiconducting tape of course is applied helically,  
12          it is wrapped around the cable, and there is about a  
13          10 to 12 percent overlap, minimum, so there is really  
14          no chance of pulling that apart and having gaps in  
15          the insulation.

16          Over the semiconducting tape is a nylon  
17          copper braid shield, or some type of textile and a  
18          copper braid shield. This is braided together in  
19          what is called a basket weave, and this material has  
20          a 60 percent minimum coverage over the semiconductive  
21          tape.

22          So we have, you know, very good coverage  
23          in case of a cut-through. And then, of course, the  
24          tape is 100 percent coverage. And this, again, is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 for the highest degree of safety that we can build  
2 into the cable.

3 There is two grounding conductors and, of  
4 course, the ground check conductor, and the grounding  
5 conductors, the total of the two grounding conductors  
6 comprise almost 80 percent of the area of one power  
7 conductor, and the CFR30 says it only has to be 50  
8 percent.

9 So we have plenty of grounding conductor  
10 built into the cable. And that is according to the  
11 Insulated Cable Engineers Association, which is a  
12 group of cable manufacturers, engineers.

13 I have been on ICEA And they have this  
14 specification, S753801. And everything is detailed  
15 here as far as the insulation wall, jacket wall,  
16 minimum physical properties for the insulation and  
17 jacket, so on and so forth.

18 So we follow this plus go the extra mile  
19 to put in the semiconductive tape.

20 MR. CHECCA: Can I ask a question?

21 MR. NICHOLS: Go ahead.

22 MR. CHECCA: This is Larry Checca. When  
23 you compare the two cables, as far as the shielding  
24 and the construction of those cables, internally

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 excluding the jacket, what is the difference, the  
2 major difference between the two?

3 MR. FULLER: Are you talking about  
4 polyurethane?

5 MR. CHECCA: TPU versus rubber.

6 MR. FULLER: The main, the internal  
7 construction is exactly the same. It is all in the  
8 jacketing. In other words, the TPU would be a single  
9 pass jacket which would go over the core, and then  
10 the CPE rubber is a two pass jacket with reinforcing  
11 twine between the two layers.

12 MR. CHECCA: Does it use the semicon?

13 MR. FULLER: Yes, it has, they both have  
14 the semicon.

15 MR. CHECCA: Okay, thank you.

16 MR. FULLER: So that takes care of the  
17 shielding. When we look at the rubber jackets, of  
18 course, we have around 3,000 pounds per square inch  
19 tensile strength, 2,900 to 3,000. And we have about  
20 55 pounds per inch thickness of tear on the rubber  
21 jacket.

22 Of course it has the two colors, the  
23 orange outer and, let's say, a green or a blue inner.

24 And that is some assistance, you know, provides

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 maybe a little easier determination. But my point  
2 is, on the TPU, with the sheer physical strength and  
3 abrasion resistance, it is virtually never going to  
4 be -- we have used this in the open pit mining  
5 industry for about 11 or 12 years.

6 And it has a really good experience with  
7 the TPU there as far as abrasion resistance. You  
8 never wear through the jacket like you can with a  
9 rubber jacket, pulling around the rocks in a copper  
10 mine. They used to just destroy the rubber jacket in  
11 maybe a year or two, and then this TPU jacket there  
12 is cables out there ten years old that you can still  
13 read the legend, you know, the outside is scuffed up,  
14 but it is not worn away at all.

15 And we also have this TPU being used on  
16 some shear cables. And we have this TPU material on  
17 many, many of the 2KV continuous miner cable, 1,000  
18 volt miner cables. So it has a lot of field  
19 experience, and it is being used on the 1,000 volt  
20 miners, probably, about five years. There is a lot  
21 of mines using that right now, and really like it.  
22 So that is why I think it should be incorporated for  
23 the 2,300 volt miners.

24 So, anyway, when we look at the materials

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 here, again, we have the -- going back to the rubber  
2 jacket, that is a two pass with a twine layer in  
3 between the two layers of jacket, twine webbing in  
4 between the two layers of jacket.

5 And we also have the jacket layers  
6 bonded. And so that is a very, very good cable.  
7 That design has been, particularly the two pass  
8 jacket, has been used for more years than I have been  
9 in the industry, and has been successful.

10 But whenever a new material comes out  
11 that is of benefit to the coal mining industry, or  
12 all of mining industries, we use that. And that is  
13 one of our functions as the suppliers, to have  
14 different things and to offer them for use.

15 Anyway, in conclusion, the design of the  
16 cable, the rubber materials, the special shielding,  
17 and manufacturing processes make this cable capable  
18 of withstanding the extremely rigorous environment of  
19 mining.

20 This, coupled with the extremely  
21 sensitive ground fault protection described  
22 throughout the document, under 1219-AV34, indicate  
23 that mine operators should be allowed to handle this  
24 cable with the hook sticks, or ropes, and twines,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 because the high voltage rubber gloves, with the  
2 leather casings, I have used myself in a laboratory  
3 situation, at least, not in a mine. But they are  
4 extremely cumbersome.

5 So what I'm asking, hoping for, is that  
6 we can look at some handling methods and try to open  
7 that window up a little bit differently from what we  
8 see in this document.

9 MR. NICHOLS: Go ahead.

10 MR. FORD: Mark, I have a question. You  
11 have talked, in other hearings, about the TPU cable,  
12 but you haven't yet talked about the cost of it. Can  
13 you give me an idea of the comparison on what it  
14 would cost between using the TPU with the other  
15 jackets that are currently used now, like a measure  
16 per square foot, or something like that?

17 MR. FULLER: It is just a ballpark number  
18 for the TPU, maybe 15 percent, added. The jacket is  
19 more expensive.

20 MR. FORD: Fifteen percent higher than  
21 what is being used now?

22 MR. FULLER: Than a standard rubber  
23 jacket, ballpark.

24 MR. FORD: Okay, thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. NICHOLS: Go ahead.

2 MR. CHECCA: Larry Checca again, Mark.  
3 Is there anything that can wear TPU jacket? I mean,  
4 is there something, you said you can run it over  
5 rocks, and so on, and it is five times the strength  
6 as the regular rubber jacket.

7 I heard, and I don't have any evidence,  
8 but I understand if the jacket, if the cable rubs  
9 together, like if you have it stored in a crosscut or  
10 entry, that that has a tendency that it can wear  
11 against the cable jacket?

12 MR. FULLER: Right, that is exactly  
13 right. Now, that has been the problem -- originally,  
14 now, TPU was introduced over 20 years ago,  
15 originally. And exactly what you said, LARry, was a  
16 big, big problem. But now the suppliers have  
17 included an internal lubricant in the material, and  
18 really it is not a problem any more.

19 MR. CHECCA: Okay.

20 MR. STAHLHUT: Mark, this is Ron  
21 Stahlhut. The TPU jacket you said, can it be  
22 extruded in a double pass like a rubber cable? You  
23 mentioned it is not, but can it be?

24

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1           MR. FULLER: See, the thing with the TPU  
2 is we could, let's say we can do that, but we can't  
3 bond layers. And remember the key ingredient on the  
4 rubber jacket, well any jacket, if it is in two  
5 layers, that they be tenaciously bonded.

6           And we can't get any bond at all with the  
7 TPU.

8           MR. STAHLHUT: Could you use one layer of  
9 rubber with the TPU over it?

10          MR. FULLER: Again, we wouldn't have any  
11 bond there. The materials are so dissimilar that all  
12 types of adhesives have been tried. It is not like  
13 we sat on our hands but all types of adhesives have  
14 been tried and it just doesn't develop the bond of a  
15 rubber jacket, it is the single layer is extremely  
16 tough.

17          MR. STAHLHUT: To clarify the question.  
18 I guess on the double jacket cable, they are -- both  
19 layers are bonded together?

20          MR. FULLER: On the rubber jacket they  
21 are.

22          MR. STAHLHUT: I thought there was a cord  
23 between them. Maybe I'm confused.

24          MR. FULLER: There is a cord, but the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 cord has a -- it has a wrap with maybe one inch  
2 little diamonds. Do you know what I mean? There is  
3 about two pics per inch, is what we call it in cable  
4 talk.

5 So there is little diamonds in there.  
6 But, yes, the jacket in between those spots, the  
7 coverage does not preclude jacket adhesion layer to  
8 layer, on the rubber jacket.

9 MR. NICHOLS: Anybody else?

10 (No response.)

11 MR. NICHOLS: Okay, Mark, thanks. Are  
12 you leaving anything with us today?

13 MR. FULLER: A page on the semiconductive  
14 tape.

15 MR. NICHOLS: Okay, thanks. Our next  
16 presenter will be Larry Vocelich, with the UMWA, and  
17 I'm sure I mispronounced that last name, Larry.

18 MR. VOCELICH: Thank you, Mr. Nichols.  
19 My name is Larry Vocelich, and I'm President of Local  
20 1810 in District 6 and also a safety committeeman.

21 In your opening statement you mentioned  
22 about, I think you hit it on the head what this is  
23 all about, and you used the word production, to  
24 increase production.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Well, first of all, MSHA stands for Miner  
2 Safety and Health Administration, there is nothing  
3 there about production, and that is our major  
4 concern, is the health and safety of our miners.

5  
6 And I stand in front, or sit in front of  
7 you today, opposing these changes. I feel that 4160  
8 is way too much power. There is going to be problems  
9 with the storage of this cable, as far as the  
10 splices, the temporary splices, there is no limits.

11 With the long wall mining and the  
12 technology today, the mechanization in the mines  
13 today, we need more water to keep the dust down. So  
14 by adding, increasing the voltage, there is going to  
15 be more electric fusions in the mine.

16 It seems like we started getting the  
17 death rate down and then we want to change, you know,  
18 if something is working, there is an old saying, if  
19 it works don't fix it. Same way with just a year  
20 ago, within a year, we was up in Pennsylvania, and we  
21 had to testify in opposition against where they  
22 wanted to, on the dust.

23 You know, we have come a long way in 30  
24 years, and I will be damned if we are going to go

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 backwards. There is no limit to how many splices,  
2 temporary splices. We would like to see that there  
3 be a limitation of the splices. These splices, they  
4 need vulcanized.

5 Like I said, with the dampness, it is  
6 going to create a problem, not just electrical but,  
7 you know, it ain't going to increase the production,  
8 it will be down all the time with this power.

9 It shouldn't be -- right now it is 2,400  
10 volts, it is 24, and you want to go to 4,160, which  
11 is way too much. The torque on this is going to  
12 cause problems. The moving of the cable, the gloves,  
13 the hooks, there is nothing really spelled out about  
14 this. I think, you know, technical people, when  
15 they put stuff together, I think they need to work in  
16 the mines for a while to see how things are actually  
17 done. Because you have the gloves, that ain't going  
18 to happen, you are going to have to have some type of  
19 hooks, you are going to have some type of storage,  
20 etcetera.

21 Our biggest concern is, you know, it  
22 seems like if we bring up some type of a safeguard to  
23 increase safety at the mine, we can't get it. But  
24 any time management asks for variances, they are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 given a dime a dozen.

2 Part 48 has no teeth. The training, that  
3 needs to be increased. With this power, if this goes  
4 through as-is, the people, they need to be educated  
5 on this. I see no place in here, the length of the  
6 cable, what it is allowed to be.

7 And just to sum everything up, we are in  
8 opposition of this. They shouldn't go over the 24,  
9 which is what it is right now, with the petition that  
10 has been filed, and then you are allowing -- like I  
11 said, I can't put enough emphasis what MSHA stands  
12 for, it is Miners Safe and Health Administration, it  
13 has nothing to do with production.

14 The production is there with the long  
15 wall mining and stuff. And we definitely oppose  
16 this. Thank you for your time.

17 MR. NICHOLS: Thank you, Larry. Salwa  
18 has a question.

19 MS. EL-BASSIONI: Salwa El-Bassioni. I  
20 have a couple of questions. You mentioned the issue  
21 with dust. Could you clarify your comment on that?

22 MR. VOCELICH: Well, they changed the  
23 regs here a while back, about nine or ten months ago,  
24 milligrams per dust. They was going to increase four

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 times fold. And it just seems like whatever  
2 management wants to do to make it easier for them,  
3 that it is more or less granted.

4 And, you know, it is a battle we have  
5 been fighting for years. MSHA is supposed to be an  
6 enforcement agency. And it seems like every year it  
7 gets more and more like an advisory agency.

8 And it is just like going down the road.  
9 If the troopers weren't allowed to fine you, they  
10 were just going to warn you, don't speed, well nobody  
11 is going to heed to that, everybody is going to  
12 speed.

13 And I think management has too much say.  
14 I mean, they have the right to have input, just like  
15 we do. But we have a system that is working, why  
16 change it?

17 MS. EL-BASSIONI: Are you saying that if  
18 the correlation between high voltage and the amount  
19 of dust, is that what your comment --

20 MR. VOCELICH: Well, no. I was just  
21 saying that nine months ago, it just seems like once  
22 or twice a year it is always a new battle, where  
23 management is trying to change the rules.

24 There is no need for 4,160 on miners.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The production is there and just like Mr. Nichols  
2 said, in his opening statement, this is all due on  
3 account of production. With the long wall mining,  
4 and the miners they have right now, I think there is  
5 roughly 23 miners in the country right now, that is  
6 around 2,300 or 2,400 volts. And they are getting  
7 by.

8 I mean, they increase the voltage all it  
9 is going to do, like I stated before, I don't mean to  
10 be repetitious, but with the dampness in the coal  
11 mines and stuff, it is -- fatality rate is going to  
12 go up.

13 There is no way, in the coal mine, that  
14 you can keep the mine dry. Whether it is natural or  
15 manmade. The production we load today you have to  
16 have a lot of water in the mine to keep the dust  
17 down. And any time you have water in the coal mine  
18 you have the chance of electrocution.

19 And increasing this voltage on the miners  
20 you are just adding to the problem.

21 MR. NICHOLS: Okay, I think we understand  
22 that position.

23 MS. EL-BASSIONI: I have a couple more  
24 questions. You mentioned the gloves and the hooks

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and tongs. What is the issue here?

2 MR. VOCELICH: Well, you know, to handle  
3 cable of such magnitude, 4,160, in the coal mine  
4 things get run over, just the wear and tear on cables  
5 and stuff. And with the way this law reads, the  
6 proposed changes, a temporary splice, there is no  
7 limitation on how many splices, how close they can  
8 be, whatever.

9 And when you are handling this stuff a  
10 lot of times you just ain't got time, you are not  
11 going to be wearing them gloves all the time. And I  
12 will tell you, right now, people are going to be  
13 grabbing these cables without gloves and stuff, so it  
14 is going to be a problem, it is going to be a serious  
15 problem.

16 In fact, you know, it would be better to  
17 have hooks or something to handle, than the gloves,  
18 because the miners ain't going to be wearing these  
19 gloves all the time. It is going to create a safety  
20 problem.

21 MS. EL-BASSIONI: One more, it is the  
22 last one. You mentioned that there is no limit on  
23 the cable length?

24 MR. VOCELICH: Not that I'm aware of. If

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 there is, I missed it.

2 MS. EL-BASSIONI: In Part 18 it refers to  
3 the tables, which --

4 MR. VOCELICH: The length that they are  
5 allowed?

6 MS. EL-BASSIONI: Yes. I just want to  
7 clarify that.

8 MR. VOCELICH: And then there will be  
9 variances on that, but that is fine. But just to sum  
10 up, and I made this statement in Pennsylvania on the  
11 dust, you know?

12 MR. NICHOLS: Well, now, just for the  
13 record I want to say that what you said about  
14 increasing the dust limit four times the TLV with the  
15 old rule, that is just a mischaracterization of what  
16 those rules were trying to do.

17 MR. VOCELICH: Well, what you was trying  
18 to do, and what was going to allow the company to do  
19 is two different things.

20 MR. NICHOLS: All right. You want to  
21 wrap it up?

22 MR. VOCELICH: And as far as the  
23 generators, I definitely oppose diesel generators on  
24 the --

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. NICHOLS: Well, that is a second  
2 hearing.

3 MR. VOCELICH: I understand that. But  
4 you said in the second hearing you was going to allow  
5 us to also bring up the electrical part, two.

6 MR. NICHOLS: Well, after we get through  
7 with everybody on --

8 MR. VOCELICH: Well, just for the record  
9 I'm against diesel. I have been running a dozer and  
10 I get diesel fumes, and I know what it does to you.  
11 And I'm outside, and I know what it does to you.

12 So, and in a closed environment, we  
13 definitely oppose this, also. And before we go  
14 backwards, I would just like for the record, you  
15 know, hell freeze over before we put our miners  
16 health in jeopardy.

17 Thanks for letting me testify.

18 MR. NICHOLS: One more.

19 MR. CHECCA: Larry Checca. Something  
20 about the number of splices and the location of the  
21 splices, do you have any recommendations on how many  
22 splices are enough, or too many, or --

23 MR. VOCELICH: Well, first of all, you  
24 know, we are aware that if the company don't make a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 profit they don't need the workers, and we don't have  
2 jobs.

3 And a lot of the companies, like the  
4 company I work for, we have equipment that is  
5 outdated, wore out, and everything. And it just  
6 causes other safety problems.

7 And if you don't put some type of  
8 limitation on the splices, and that is secondary  
9 compared to the temporary splices, not vulcanizing.  
10 I mean, that is absurd. Anybody that worked in the  
11 mine, you know, with a temporary splice you sure in  
12 heck don't want to be around water and dampness with  
13 that.

14 And cables you are always hanging them up  
15 because you have equipment running through the break-  
16 throughs, and stuff. And you have to hang them up or  
17 they are going to get puncture holes in them, and  
18 everything else. So you are handling these cables  
19 all the time.

20 And there is no way with any type of  
21 voltage that a temporary splice, I think the way it  
22 is right now you are only allowed what, 24 hours with  
23 the temporary splice? And now we are coming up with  
24 something that is vulcanized tape, but it is not a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 boot.

2 It is not, as far as I'm concerned,  
3 insulated properly, and we are going to cause  
4 problems. There is going to be electrocutions in the  
5 mine.

6 MR. NICHOLS: Anything else for Larry?

7 (No response.)

8 MR. NICHOLS: Thanks.

9 MR. VOCELICH: Thank you.

10 MR. NICHOLS: Okay. Our next presenter  
11 will be Ted Holland with the UMWA.

12 MR. HOLLAND: Mr. Nichols, ladies and  
13 gentlemen, good morning.

14 MR. NICHOLS: Good morning.

15 MR. HOLLAND: I'm a safety committeeman  
16 with Local 1810, I work for the Ohio Valley Coal  
17 Company. Plus, off and on, mostly on for the last 32  
18 years, I'm a miner operator, presently am.

19 What we are talking about, on this high  
20 voltage, I don't know whether you realize it or not,  
21 but you do a lot of movement as a miner operator.  
22 And this cable is constantly under your feet, in the  
23 situation we are.

24 It is a very hard thing to be able to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 watch equipment, and watch your top, and actually  
2 watch where you are stepping, because you have this  
3 slack pulled up with you, it is constantly there, you  
4 are always right there over this miner cable.

5 With running a miner it is in a constant  
6 movement, back And forth, you are always dealing with  
7 this cable, it is wanting to move out in the way, you  
8 know, you are constantly moving it out of the way.

9 You stressed on the wearing the  
10 protective gloves to handle this. I already carry  
11 two pair of gloves with me, now I'm going to have to  
12 carry three. I'm going to have to pack a suitcase  
13 when I go in to run miner, taking enough stuff with  
14 me to handle the day.

15 It is always a wet area because of  
16 controlling the dust. I have hazards that I already  
17 watch for top, because I'm out from under the canopy  
18 any more on a remote miner, I don't have the  
19 canopies.

20 It is just another hazard that you are  
21 putting in my way, because I have equipment to watch  
22 for, and now I have to watch not to step on this high  
23 voltaGe cable.

24 When you get into the process of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 buggies hauling out, you talked about hanging this  
2 cable And guarding it, that is fine. But you are  
3 always going to have loads of coal rubbing it, that  
4 situation.

5 It is not a good thing to try to guard.  
6 We tried not even to run under high voltage cables,  
7 high lines, with loaded equipment. But this is going  
8 to put us to where we are running underneath it with  
9 loaded buggies all the time, because of the systems  
10 we run, we have to hang it up so the buggies can get  
11 under it.

12 The slack they mentioned about you  
13 storied out by. That usually doesn't work because  
14 you have to pull it up in the last open, or you are  
15 talking about de-energizing it, rehangng it, you  
16 know, every cut, which is not a situation you want to  
17 get into.

18 So it is not a practical thing to have  
19 that slack out-by, because they are going to have to  
20 have the slack in-by. And then you get into a three  
21 entry gate system which a lot of us run, now you are  
22 having a hard time getting it out of the way of a  
23 bolting machine.

24 So on a basic day to day running of it,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that is where I see that we are going to have some  
2 problems. That is pretty much what I have.

3 MR. NICHOLS: Are you operating a high  
4 voltage miner now?

5 MR. HOLLAND: No.

6 MR. NICHOLS: Any questions for Ted?

7 (No response.)

8 MR. NICHOLS: Thanks, Ted. The next  
9 presenter will be Carl Morris, UMWA.

10 MR. MORRIS: My name is Carl Morris,  
11 UMWA. I work for Console Energy a Robinson-run mine.  
12 I became a certified electrician in 1976, qualified  
13 person under the Code of Federal Regulations.

14 In that time I have worked as a section  
15 mechanic and the problems that we have encountered,  
16 that I see the problems with this high voltage on the  
17 miners, is we can only run low and medium voltage on  
18 our equipment, but to be able to splice cables, and  
19 have the number of splices in the cables that we  
20 sometimes have, with the taping the cables, the tape  
21 will not stay on the cables.

22 And as they run over rollers and drag  
23 along the bottom, tapes continuously rolling back  
24 off, and we tried all kinds of tape in cables. And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the only type of splices that stand up to the wear,  
2 at all, we use a lot of the 3-M porous splices.

3 And those are very good, they take the  
4 wear pretty good. And we have also used some boot  
5 splices, but the 3-M porous splices put the jacket  
6 back a lot better, closer to what is original than  
7 any type of tape.

8 We have tried all kind of tapes and none  
9 of them really hold up to the wear that we have.  
10 Currently, for the last two years, I have been a  
11 shield operator on a high voltage long wall. We have  
12 had our high voltage long wall petition for several  
13 years.

14 And it is mine-specific. When we went to  
15 the high voltage long wall we had meetings at the  
16 mine, and addressed the conditions that we have at  
17 our mine. And I think that is one of the things you  
18 are going to miss here, with these rules, with the  
19 high voltage miners, is not having a petition that is  
20 mine-specific towards the conditions at that mine.

21 When you make a rule for the whole  
22 industry it is not going to address the problems that  
23 you have at the mines. Some mines are dry and you  
24 can use the high voltage gloves.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           Ours is a wet mine, and the cables are  
2 wet. Everything that you touch is wet. And we  
3 tried, on our high voltage, in our petition, to  
4 handle the cable handler on a long wall, it says we  
5 can use either high voltage gloves, or a hot stick to  
6 handle the cables.

7           And we found that the gloves are of no  
8 use at all, because you may as well be bare handed to  
9 the amount of water that you get on those gloves, and  
10 they are wet continuous. I mean, we don't even try  
11 to use those.

12           All the splices that we do on our high  
13 voltage long wall cables we run 4,160 on our high  
14 voltage long wall cables. And all those splices that  
15 we do, we do nothing but the 3-M porous splice,  
16 because they are the only thing that holds up.

17           And on the long wall it is going to be a  
18 lot different from the miner sections because from  
19 the power cord to the head gate is all -- all of our  
20 cables are hung in a monorail cable handling system  
21 that is -- and all the cables are in conduit.

22           And from the head gate to the shear our  
23 cable is in a plastic britney cable handler system.  
24 So you have very little contact with the cable at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 all. And it is protected fairly well, which you  
2 won't have with the high voltage miners.

3 The high voltage miners you have the  
4 cable down on the ground, dragging, you have it hung  
5 on some sort of rollers that will allow it to roll  
6 over, you have it hung up on insulators. Even though  
7 it is hung on insulators it will still be laying  
8 against the rib, and it will be up at a height where  
9 equipment and canopies, and we run load machines on  
10 our equipment, behind our miners.

11 If we were to have one, we have a lot of  
12 problems with the canopy on the loading machine  
13 hitting the miner cables. And when you do that, you  
14 have the cable right at your face level when those  
15 canopies hit that, and damage that.

16 We were told, when we got our high  
17 voltage petition for our long wall, how safe the high  
18 voltage cables was. Any bump on the cable would  
19 immediately give you a ground and trip it out.

20 About three months ago, like I said, I  
21 was pulling the shields on the tail gate, we were  
22 cutting out the tail GATE, and as you double cut the  
23 tailgate you get a wrap in your britney cable  
24 handler. And it fell off into the conveyor side of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the shear, and the cable was smashed and shear, the  
2 shear operators didn't see it.

3 And instead of a trip like we were told  
4 was going to happen, whenever we got a ground, we  
5 immediately got a phased phase on that 4,160, and it  
6 blew the cable nearly in two. We had to, there was  
7 no repair to the cable, we had to cut the cable off,  
8 reenter the cable into the shear, and the resulting  
9 explosion, and the noise, and the light show that  
10 evolved from that phase to phase occurrence on that  
11 shear cable, I had my back turned, and I had my  
12 earmuffs on, and I was standing next to the tailgate  
13 drive.

14 Which if any of you have ever been on a  
15 long wall, you know, it is a very, very noisy place.  
16 And it was deafening, the explosion, just from the  
17 cable blowing up, and the lights flashed.

18 We have a fluorescent light on every  
19 other shield, so we are very well lit. And the light  
20 flash and sparks that came off that cable blowing up  
21 was spectacular, it was like a fireworks show ten  
22 feet away from you.

23 Fortunately the shear operators were at  
24 their respective drums, and they were away from it,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and no one was injured, we just lost the power, and  
2 lost a few hours production.

3 But, like I said, on the long wall, we  
4 are blessed that we have that cable handling, high  
5 voltage cable was enclosed in that Britney, and  
6 there is very little need to even touch the Britney.

7 But when you get on a miner section,  
8 where that cable is going to be running over rollers,  
9 or dragging, and you are going to be moving equipment  
10 in and out of the working place, backing out, going  
11 in, you are going to have to handle that high voltage  
12 cable.

13 And to do that with gloves is, you just  
14 as well do it bare handed. And to not repair that  
15 cable back to original is going to be a real problem,  
16 you are really going to put people in jeopardy if you  
17 don't require some sort of boot or, like I said, the  
18 porous splice is some sort of a vulcanizing splice.

19 And too, we need to limit the number of  
20 splices in the cable. At our mine we had to, even  
21 with the low, with the medium voltage, low and medium  
22 voltage, because we used to run 575 miners, now we  
23 are running 995 miners.

24 But we've got with management, on a local

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 level, with the safety committee, and limited the  
2 number of splices that we allow in our cable,  
3 ourselves. But that is something that you guys need  
4 to look into, what is safe.

5 And it is not really that difficult to  
6 limit the number of splices and the distance between  
7 the splices. We've had some people have a splice  
8 here, and two feet away you put another splice in.  
9 That is ridiculous. You know, you cut that piece of  
10 cable out and make one splice, and you are done.

11 And if you have three or four splices in  
12 a 60 foot area, you cut that 60 foot out, and you  
13 make one splice. And if you have to add more cable,  
14 or change the cable out, and send it out to be  
15 vulcanized, you can do that.

16 It is not really a big deal, it is not  
17 really a hardship on the operators to do that. But  
18 the thing, I think the most about this, first of all  
19 you don't need the 4,160.

20 I don't think that any of the  
21 manufacturers are going that high. I think 2,400  
22 volts, or something like that, is what they are  
23 running. We don't have high voltage miners at our  
24 mine.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           But to put rules that cover everything  
2           into operation is, I think, a mistake. And I'm in  
3           favor of the petition that we currently have, because  
4           you can deal, then, with the conditions at the mine.

5           I have been in a lot of mines than  
6           probably some of you have, but the conditions, from  
7           what I'm told, change from mine to mine. And to do  
8           it on a petition basis would be far better, so you  
9           could address the conditions at that mine. Thank  
10          you.

11           MR. NICHOLS: Thank you, Carl. We have  
12          questions?

13           MR. CHECCA: Yes, Carl, my name is Larry  
14          Checca. In the preamble we asked for comments  
15          concerning the installation of the trailing cable.  
16          The original petitions require the cable to be hung  
17          to the last open crosscut.

18           And then as we receive more petitions  
19          with lower seam height we felt that maybe an  
20          alternate would be using an unused entry for the  
21          cable.

22           MR. MORRIS: What was that? I'm sorry, I  
23          don't hear very well.

24           MR. CHECCA: I will start all over.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. MORRIS: I think I got most of it up  
2 to now.

3 MR. CHECCA: Okay. There were two  
4 options in the Rule, as far as installation of the  
5 trailing cable. One is to hang it to the last open  
6 crosscut and the other is to use and unused entry.

7 And we asked for other ideas from you  
8 folks. And I was wondering if you had an opinion on  
9 what you can do with that trailing cable from the  
10 power center to the machine, as far as installation?

11 MR. MORRIS: Well, I think, you know the  
12 operators are going to agree with you and say hang it  
13 because there will be less damage to the cable if it  
14 is hung. If you put it on the ground you have more  
15 of a chance to damage the cable.

16 But the problem with that is if you hit  
17 the cable one time, and it is hung at face level, you  
18 are going to have a major explosion like we had on  
19 the shear cable. And it is going to be right at your  
20 face.

21 And an electric arc is intensely hot.  
22 I've scarred my hand right here. I'm sure you can't  
23 see it from there, but I have a burn scar on my hand  
24 where I accidentally shortcircuited a 240 volt

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 battery on a locomotive. And it blew all the skin  
2 off of my finger, and thumb, and the top of my hand.

3 I mean, it was just hanging in shreds at  
4 the end of that. And that is a 240 volt short  
5 circuit, and not a 4,160 phase to phase arc. The arc  
6 is intense.

7 So which would be better for the  
8 operators? To hang it up. Which is going to be  
9 better for the miners, to put it on the ground so  
10 that if you do hit the cable it is down away from  
11 your face, down away from your body and your hands,  
12 and away from the operators, rather than hit it up  
13 here where it is going to be up close to your face.

14 MR. CHECCA: Okay, thank you.

15 MR. NICHOLS: Go ahead, but speak up.

16 MS. EL-BASSIONI: Salwa El-Bassioni. I  
17 have a couple of questions. You mentioned that there  
18 was a cable that blew up?

19 MR. MORRIS: Yes.

20 MS. EL-BASSIONI: And where was that?

21 MR. MORRIS: That was a Robinson-run coal  
22 mine, Consol Energy.

23 MS. EL-BASSIONI: Robinson?

24 MR. MORRIS: Robinson-run coal mine. It

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 is up the road here at Chinston, West Virginia, just  
2 on the other side of FAirmont, and it is a Consol  
3 Energy.

4 What happened the cable handler fell over  
5 into, between the pan line and the shear. And when  
6 the shear backed up it smashed the high voltage  
7 cable. And when it smashed the cable instead of  
8 grounding it against the shield, it smashed it so  
9 quickly, and so hard, that it smashed the phases and  
10 the grounds together at one time, and created a phase  
11 to phase arc, which the cable just blew up.

12 I mean, you would think you had a stick  
13 of dynamite there.

14 MS. EL-BASSIONI: You also mentioned that  
15 we should limit the distance between the splices?

16 MR. MORRIS: Yes.

17 MS. EL-BASSIONI: Do you have any  
18 recommendations?

19 MR. MORRIS: Well, I don't think you  
20 should have splices closer than 25 or 30 feet. But  
21 that is just, you know, that is something I think you  
22 all, and probably our International Safety and cable  
23 manufacturers need to look at as far as, you know,  
24 I'm not an expert.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I think you need to talk to some experts  
2 about that. But to have, if you don't put a limit in  
3 it, what you are going to have is you are going to  
4 have splices two feet apart, three feet apart.

5 The area immediately behind a miner, I  
6 think, I just got a chance to look at the rules  
7 quickly. I think the rules call for no splices  
8 within 35 foot of the machine?

9 MS. EL-BASSIONI: Right.

10 MR. MORRIS: But the area around a miner,  
11 for the first 50 or 60 feet, back where the buggies,  
12 shuttle cars, and loading machines operate, is the  
13 places where the cables are damaged. And on our low  
14 and medium miners you will end up with taped places,  
15 damaged places, and splices two and three, and four  
16 feet apart.

17 Like I said, whenever we find them like  
18 that, as an electrician, whenever I find them like  
19 that, if we damage a place, and there is four damaged  
20 places within ten feet, we cut the ten feet out and  
21 make a splice.

22 But you don't have to do that. And under  
23 your rules you won't have to do that. So it would be  
24 better to have that in the rules that whatever you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 set it at. I would say 50 feet apart.

2 But, like I said, you need to talk to  
3 some cable experts, and I'm sure you have electrical  
4 experts that you talk to. I see Mike Hall here  
5 today, and he is the closest thing we have to an  
6 electrical expert in this district.

7 MR. NICHOLS: The closest thing?

8 (Laughter.)

9 MR. MORRIS: Well, he is our electrical  
10 expert. Mike has helped me out a lot with electrical  
11 problems we've had at our coal mine. And that is the  
12 people that are more knowledgeable than the working  
13 miners, you know?

14 MS. EL-BASSIONI: Thank you.

15 MR. NICHOLS: Yes, Mike is good. We have  
16 one more question here?

17 MR. STAHLHUT: Yes, sir. Ron Stahlhut.  
18 You mentioned the cold pour splices.

19 MR. MORRIS: Yes.

20 MR. STAHLHUT: And I was wanting a little  
21 clarification on those. What was your experience  
22 with those being used at, were those used on  
23 continuous miners?

24 MR. MORRIS: We have used them on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 continuous miners, we use them on the continuous  
2 miners. We do nothing but the cold pour splice on  
3 our 4,160 high voltage long wall cables.

4 MR. STAHLHUT: And those are in Britney,  
5 right, the long wall?

6 MR. MORRIS: Either in Britney or in,  
7 from the power car to the head gauge they are hung in  
8 -- we have a monorail cable system that handles our  
9 high voltage cables. Anything that damages a high  
10 voltage cable from the power car to the shear, or the  
11 power car to one of the conveyor drives, we do  
12 nothing but the cold pour splice.

13 MR. STAHLHUT: The cold pour splice, you  
14 say you have used them on the continuous miners?

15 MR. MORRIS: Yes.

16 MR. STAHLHUT: How was your experience  
17 there, when they were used, did they hold up to the  
18 abrasion of the coals, and the stuff?

19 MR. MORRIS: Yes, they get back pretty  
20 close to original jacket condition. Now, the problem  
21 with them is, that we've run onto is, if you don't  
22 make a really good splice, and then you pour them,  
23 and there is not a lot of flexibility in there, and  
24 you have a problem inside that splice, you just as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 well cut that baby out, because you are not going to  
2 take a knife and cut that rubber jacketing away like  
3 you would a rubber jacket. You can't get it back  
4 into them very well.

5 MR. STAHLHUT: Okay. So I guess to  
6 clarify that you are saying there are some  
7 installation problems with the cold pour splice, or  
8 there can be, if not properly done?

9 MR. MORRIS: Well, any splice that is not  
10 properly made is a problem. If you properly make the  
11 splice, I personally, haven't seen problems with  
12 them. But I have seen when splices aren't properly  
13 made inside, AND then you pour them, then you -- and  
14 you later have a ground or a phase to phase condition  
15 inside that pour splice, you may as well cut that  
16 baby out and start again, because you are not going  
17 to be able to cut that pour splice off like you can a  
18 jacket And repair the lead inside it, and then pour  
19 another splice in it.

20 That stuff is really hard, really sticky,  
21 and does a really good job. It is just about like a  
22 vulcanized splice.

23 MR. STAHLHUT: Okay, thank you.

24 MR. NICHOLS: Thank you, Carl. The next

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 presenter will be Jim Tayler, UMWA.

2 MR. TAYLER: Good morning.

3 MR. NICHOLS: Good morning.

4 MR. TAYLER: My name is Jim Tayler, I'm  
5 Chairman of the Safety for Local 1570. It is a  
6 pleasure to be here with you today. And, no, we  
7 don't have a high voltage miner. We might get it,  
8 might not, but I have some questions.

9 These are questions that will get hit to  
10 me. I do agree with Brother Carl that we do do mine  
11 specific petitions because of the conditions in the  
12 mine. Like we have some entries that these cables  
13 could be laying in, if they decide to put them on --  
14 they are going to be on the ground so far back,  
15 anyway, from the miner, you understand?

16 But there is places, we will have that  
17 much water, maybe two feet of water. We try to pump  
18 on them, pumps go down. But that doesn't stop the  
19 mining process. The first two feet of water you wade  
20 through two feet of water, you keep on mining.

21 So we have to address, you know, that  
22 cable being underwater. Because once you are mining  
23 up there that cable is going to be laying on the  
24 ground so far back from that miner, anyway. You

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 can't hang it, it is going to be there, you are  
2 dragging it along with your miner.

3 It seems like we turned our section  
4 people into part time electricians. They have to  
5 wear the gloves that they never wore before. You  
6 can't incorporate this into Part 48 training. This  
7 is specific training for these men.

8 Before anything high voltage they have  
9 been told stay away from it, don't touch it. Now we  
10 are going to say it is okay to touch it, you just  
11 have to wear the proper gloves. Now, these gloves  
12 are going to be used, and I'm just telling you, they  
13 always tell us our worst enemy is time and comfort,  
14 and that will come into play here.

15 Because these guys will drag the cables  
16 back, they will take their gloves off, throw them on  
17 the machine, get ready to mine again, put their work  
18 gloves on. You can't wear these all the time.

19 What about that old guy, he has to drag  
20 them tubes up to that miner, put his hands on the  
21 cable, cross the coal pile into the cable, to get the  
22 tubes to establish your ventilation to the phase. Do  
23 you think that guy is going to put them high voltage  
24 gloves every time he's got to put his hands on there,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 just to drag the tube up there? Time and comfort.

2 The next time he will say I can get by,  
3 I'm not going to be up there very long, I'm going to  
4 hop over that cable real quick. I'm telling you,  
5 time and comfort is our enemy. We are human, we take  
6 shortcuts. I wish we didn't, but we do.

7 And high voltage cables will be a problem  
8 at some mines, like I said, due to water. Hanging  
9 them, sometimes you can't hang them. Sometimes  
10 you've got your tubes running up your face side. You  
11 put rollers in, like Brother Carl talked about.

12 We have canopies. That was a good thing  
13 we did. We put canopies on machines to keep guys  
14 from getting crushed by falling out ribs. But now  
15 when you've got a 16 foot entry, and you've got a  
16 buggy that is 14 feet wide, that don't give you a lot  
17 of travel space.

18 You are going to be walking beside them  
19 cables now if they are on the ground. You are going  
20 to be walking on top of them, you are going to be  
21 stepping on them, getting by there, take a methane  
22 check, get up there to shovel the ribs in so your  
23 loading machine can pick it up.

24 It is going to be buried under coal on a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 rib. You are going to have to pull them up, get them  
2 out of the coal, pull slack. Everybody is going to  
3 be handling these cables.

4 Now, we can say we will put them gloves  
5 on, and sometimes we will. But people get  
6 comfortable, it would never happen to them, I've  
7 never had any problems. People forget to wear them  
8 gloves all the time, or they will get damaged and the  
9 guy will say, help me get that, here is a pair, I  
10 will put these on, and there is a hole in them.

11 I'm telling you, we are going a little  
12 far when we are making just every day coal miners,  
13 some of the laws are for electricians that they don't  
14 have specific training in. Our annual refresher is  
15 packed full. Everything goes into that, roof  
16 control, ventilation, first aid, it is full.

17 It is all you can do, you can't put  
18 anything else on there, especially specific training  
19 on high voltage cables. It has to be separate. The  
20 company is going to have to sit down for a couple of  
21 hours and make it a special training.

22 Petitions need to be mine specific, like  
23 Brother Carl said, whether they are wet, whether they  
24 are dry, whether you are mining two foot of water.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Like I said, when the pumps go down you keep mining.

2 MR. CHECCA: Can I ask you a question?

3 MR. TAYLER: Sure. I will try to answer  
4 it. Maybe I can, maybe I can't.

5 MR. CHECCA: Okay. You've talked about  
6 the gloves and how they wouldn't be worn. And you are  
7 talking about --

8 MR. TAYLER: They will be, for a while.

9 MR. CHECCA: Yes. And now you are  
10 talking about a petition to make that application  
11 mine specific. What would we do different in the  
12 Rule, than in a petition, as far as requiring gloves,  
13 or requiring some personnel protection?

14 MR. TAYLER: Well, see, I'm against it.  
15 I don't think we need it.

16 MR. NICHOLS: Well, that is a good  
17 question.

18 MR. TAYLER: Sure it is a good question.  
19 How -- you would have to get input -- we could have  
20 a whole other meeting from --

21 MR. NICHOLS: No, no. I mean, addressing  
22 gloves in a petition versus the regulation. I mean,  
23 you can't have it both ways.

24 MR. TAYLER: Right. But I was thinking

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about conditions of the mine. A dry mine would have  
2 less chance -- I mean, we have a petition at our mine  
3 right now that we run quality in our intake escape  
4 wire. I don't think any other mines have got it.  
5 But we build enough stipulations in that we didn't  
6 want to go to battery.

7 We build enough stipulations in that  
8 we've never had one incident in our intake escape  
9 trolley power. Now, we have a door man stationed, he  
10 controls it, turns it on and off. When you are not  
11 on it, it is on the off position.

12 Now, a lot of mines, Consol, didn't want  
13 that, because they didn't want to station a man  
14 there. They wanted the power intake escape way, but  
15 they didn't want to follow the same safety concerns.

16 That is what I'm talking about, safety concerns for  
17 mine specific sites, whether they are dry, whether  
18 they have water.

19 We don't address anything if the cable is  
20 underwater. You don't think it can be underwater?  
21 You don't think people mine in this industry with two  
22 feet of water on the floor? They do. Federal II  
23 does, we do. We've got violations for it, and they  
24 will pump it, but if that pump goes down, I'm telling

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 you, mining don't stop.

2           Them buggies will be up until I've seen  
3 it coming in the floor, where their feet are, water  
4 that deep. Mining doesn't stop. So these are just  
5 some concerns I had.

6           These are questions that will come to me.

7       I hope we work things out so that everybody is happy  
8 on this thing. I don't know if we can do that. But  
9 mine specific, you have to address the condition of  
10 that mine.

11           We have one part of our mine just dry. I  
12 mean, it is heaven. The guys call it heaven when  
13 they go work up there. If they get to go to that  
14 side of the mine it is heaven, because it is dry, and  
15 the rock dust stays put, and it is all nice and  
16 white.

17           But then we've got the other side of the  
18 mine where you can't keep rock dust and the water  
19 pouring out of the top, two foot of water on the  
20 floor, the guys is making belt moves in water that  
21 deep, having to wear rubber boots up to their knees  
22 to carry the structure stuff.

23           Everything should be kind of mine  
24 specific on the condition of that mine. I thank you

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 for your time.

2 MR. NICHOLS: Thank you, Jim. Any more  
3 questions?

4 (No response.)

5 MR. NICHOLS: Thanks, Jim.

6 MR. TAYLER: You are welcome.

7 MR. NICHOLS: The next presenter will be  
8 Mark Cochran, UMWA.

9 MR. COCHRAN: I'm Mark Cochran, Local  
10 9909, Leverage Mines. I don't have much different to  
11 add than what anybody else has spoke about. I have  
12 been a certified electrician in the mines for more  
13 than 20 years.

14 I also have problems with this rule.  
15 Most importantly is the cable handling. I first have  
16 been taught, from my first day in the mines, that the  
17 hazards of coming in contact with high voltage  
18 cables. The violations at our mines on  
19 cables, most of them are found where the tape has  
20 peeled back from the outer jacket and have exposed  
21 power leads. This, in your rule, I believe it says  
22 in here that the cable will be checked every day.

23 Well, that is part of the pre-ops check  
24 now and we still run into problems with that. My

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 understanding is, also, that if the jacket is damaged  
2 that the cable can be taped. To me it is a major  
3 concern. If the outer jacket is pulled back and just  
4 tape put on it, have a pinhole or something in the  
5 inner jacket, allowing someone in the wet conditions  
6 of mining in mud and water, that they could come into  
7 contact with this.

8 Also I would like to say that it is  
9 unrealistic for us to sit here and say that no one  
10 will ever come into contact with this cable without  
11 use of approved gloves and not hold it against their  
12 body.

13 I mean, we all know that when we are  
14 moving a cable we flip it up on our shoulders,  
15 whatever is necessary to get it, you know, with the  
16 aged workforce, our long wall was blessed, they have  
17 a cable handler, which helps protect the cable, also.

18 And for this reason I personally feel  
19 that it would be great if the cable could be de-  
20 energized where it cannot be guarded properly, and  
21 have to be handled.

22 MR. NICHOLS: Is that it, Mark?

23 MR. COCHRAN: Yes, sir.

24 MR. NICHOLS: Any questions of Mark?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (No response.)

2 MR. NICHOLS: Thanks. The next presenter  
3 will be Tim Cox, UMWA.

4 MR. COX: Good morning.

5 MR. NICHOLS: Good morning.

6 MR. COX: Tim Cox with Local 9909, Consol  
7 Energy. I have more than 21 years underground with  
8 Consol. And, like the other gentlemen, I'm opposed  
9 to the number of splices.

10 Our mine is very gassy, very gassy mine.  
11 And a splice in a high voltage cable, which you've  
12 just heard a mishap, and one thing I have learned in  
13 21 years, working for Consol, mishaps happen in the  
14 underground coal industry.

15 A trailing cable blowing up in a 300 foot  
16 entry could cause a catastrophic explosion at our  
17 mines. Leverage number 22 has had numerous fires, an  
18 explosion in 1999, and the splice limits that are not  
19 in the provision, because there is no data, you've  
20 said that six years is all you have been running  
21 these high voltage cables on trailing cables, or is  
22 that just a test?

23 MR. NICHOLS: No, I think it was six  
24 years ago we approved the first petition for a high

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 voltage miner.

2 MR. COX: Well, six years, I've got 20  
3 years underground, and ever since I have been in the  
4 coal industry they have told me not to touch 4,160,  
5 not to touch 7,200, not to touch 12,470.

6 When you take the plugs apart put the  
7 caps on them because that cable can hold power. We  
8 have, just like that gentleman said, our people  
9 aren't perfect. They will do it in spite because  
10 they are lazy, but they still have to feed their  
11 family.

12 High voltage cables hanging in an entry,  
13 canopies, everything is big in the mines. A lot of  
14 people forget that. Very easy, you know, to scuff a  
15 cable and not see it.

16 You are talking about putting a red  
17 jacket inside, my buggy is red, your light glares off  
18 of it. You might not see that stuff. There is a law  
19 that says you have to handle your cable from the  
20 power center to the miner before you start your  
21 shift.

22 Do you think that is actually done every  
23 day? It is not. There are too many variances,  
24 especially with that splice deal. In by the last of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the crosscut is bad. In a 300 foot heading you have  
2 300 foot of cable, high voltage cable, that is laying  
3 in an entry that could explode.

4 I think that is a bad deal. Now, that is  
5 just at our mines, with a three heading section you  
6 have, you know, that much cable pulled up in the last  
7 of the crosscut.

8 The splices, you guys have more knowledge  
9 than me in the industry of how many people have been  
10 electrocuted when there was a proper splice made.  
11 Well, something happened. And then they find out it  
12 is a set of events that happened, that killed that  
13 man.

14 Well, it is still happening today. We  
15 have to limit, right now if we have a bad 12,470  
16 cable, it has to go outside and be vulcanized. That  
17 don't stop you from mining, they just vulcanize the  
18 cable and bring it back in. That is what I'm opposed  
19 to, gentlemen.

20 MS. EL-BASSIONI: I have a question, Jim.

21 MR. NICHOLS: Go ahead.

22 MS. EL-BASSIONI: Salwa El-Bassioni. Are  
23 you proposing that we should prohibit splices,  
24 period? I'm not sure, I couldn't understand.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. COX: In by the last open crosscut I  
2 believe we should not allow splices in high voltage  
3 cable. I think that is bad. And, like I said, 300  
4 feet are outside headings.

5 MS. EL-BASSIONI: Thank you.

6 MR. NICHOLS: Thanks, Tim. Our next  
7 presenter will be David Thomas, with Joy. But before  
8 David comes up let's take a break until 10:30. So,  
9 David, if you could be ready to go at 10:30, and we  
10 will make room for your presentation.

11 (Whereupon, the above-entitled matter went off  
12 the record at 10:13 a.m. and went back  
13 on the record at 10:30 am.)

14 MR. NICHOLS: Our next presenter is going  
15 to be David Thomas with Joy Mining. And I  
16 understand, David, you have some prepared comments,  
17 and then you want to do an overhead?

18 MR. THOMAS: Yes, correct.

19 MR. NICHOLS: When you start your  
20 Powerpoint I think the panel will need to get up and  
21 step aside so we can show it on the screen here. So,  
22 go ahead.

23 MR. THOMAS: Okay. Thank you, Mr.  
24 Nichols. My name is David Thomas, I'm with Joy

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Mining Machinery for the past 24 years. The past ten  
2 years I have been a certification engineer  
3 representing Joy.

4 My prepared statement is, Mr. Chairman,  
5 members of the Proposed Rule Committee, and all  
6 interested parties, I'm presenting this information  
7 on behalf of Joy Mining Machinery to address the  
8 recent Proposed Rule that was published in the  
9 Federal Register on July 16th, 2004, concerning high  
10 voltage continuous mining machines.

11 Comments by interested parties were  
12 requested, and since Joy is the world's largest  
13 producer of underground mining machinery, and a  
14 current supplier of high voltage continuous miners,  
15 we have great interest in this area of discussion.

16 Joy has been actively involved in  
17 designing, manufacturing, and commissioning high  
18 voltage mining equipment throughout the world. To  
19 date we have produced 59 high voltage continuous  
20 mining machines operating in three different  
21 countries, that require some different form of  
22 approval, or certification, for the equipment.

23 The first discussion point raised an  
24 invitation to comment on reorganizing the regulations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 differently than that proposed. We would recommend  
2 that MSHA consider creating a primary section of  
3 regulations that addresses the requirements common to  
4 all equipment designed for voltages in excess of  
5 1,000 volts.

6 We would also recommend subsections based  
7 on the different types of equipment, such as long  
8 wall, continuous miners, haulage, drills, and so  
9 forth, that would contain only the extra regulations  
10 specific for that type of equipment.

11 We have reviewed both the PaRt 18 and the  
12 Part 75 Proposed Rules, and have the following  
13 comments to make on both sections. Although the Part  
14 18 Proposed Rules directly affect us as the  
15 manufacturer, we have encountered problems with our  
16 customers trying to understand and meet the  
17 requirements listed in the current petitions, and  
18 subsequently included in the Proposed Rules.

19 Therefore we will respond to parts of the  
20 Part 75 Proposed Rule that we have encountered, that  
21 are keeping the equipment from being used to its full  
22 potential.

23 Our review of the Part 18 requirements  
24 resulted in minimal changes that we feel are needed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 We understand that the current Proposed Rule is a  
2 derivative of the high voltage longwall regulations,  
3 but would comment on the Proposed Rule under Part 18,  
4 paragraph 54A, requiring separate compartments,  
5 barriers, or partitions of low and medium voltage  
6 circuits from those with high voltage circuits.

7 On a continuous mining machine there are  
8 a number of small enclosures that may house high  
9 voltage components, unlike a long wall shear that  
10 typically uses only one main controller.

11 We would ask that MSHA include the  
12 ability to consider the enclosure's cover as the  
13 barrier, and allow cover interlocks to be used to de-  
14 energize the entire controller on the removal of the  
15 cover from the enclosure.

16 Locating high voltage and lower voltage  
17 components together, in an enclosure, does not in  
18 itself increase the risk of exposure to energized  
19 high voltage conductors or parts. It is not the  
20 location of components that is the risk, but rather  
21 the access to potentially energized high voltage  
22 components.

23 Barriers, partitions, or the enclosure  
24 itself can prevent access. This would allow existing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 designs of controllers that include various voltage  
2 circuits to be housed in a convenient enclosure, and  
3 still prevent the exposure of persons to high voltage  
4 energized conductors or parts.

5 Part 18, paragraph 54B needs to better  
6 clarify the barriers or partitions need not be  
7 interlocked if the enclosure cover is interlocked.

8 Part 18, paragraph 54E, and Part 75,  
9 paragraph 54C, describes the additional circuitry  
10 that must be added for continuous miners that are  
11 designed with an ungrounded three phase power  
12 circuit.

13 We do not see these requirements of  
14 additional circuitry as adding any level of safety to  
15 the machine when, in fact, it reduces the safety of  
16 the personnel who must work on the machine.

17 We would recommend that this paragraph be  
18 deleted. Having an ungrounded power transformer  
19 secondary circuit on board continuous miners is not a  
20 safety issue, as evidenced by the successful and safe  
21 use of these circuits on continuous miners for over  
22 30 years.

23 In fact it could be argued that grounding  
24 a transformer secondary circuit increases the risk of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 electrical shock by exposing maintenance personnel to  
2 a greater number of potential shock points, when  
3 fault finding or testing.

4 Additionally there is no requirement for  
5 the grounding of power transformers secondary circuit  
6 in the current high voltage shearing machine  
7 regulations.

8 As a current manufacturer of high voltage  
9 continuous miners we do not have issues with the  
10 other requirements defined in the Part 18 section of  
11 the Proposed Rule.

12 The enclosure design and testing, minimum  
13 creepage and clearance design distances, and control  
14 voltage transformers grounding requirements have  
15 always been part of the design and were incorporated  
16 on the original high voltage machine placed in  
17 service during 1997.

18 Reviewing the proposed rules of Part 75  
19 we wish to highlight areas that have a direct impact  
20 on the ease of use, and coal miner acceptance of  
21 operating the high voltage continuous miner.

22 From research recently conducted it  
23 becomes more imperative that our fleet of continuous  
24 mining machinery in the United States be upgraded to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 high voltage input to take advantage of technological  
2 advancements now available.

3 In just a few minutes I will be  
4 introducing you to an expert in the electrical power  
5 distribution field of underground mining who has some  
6 exciting details to reveal on his research with high  
7 voltage mining machines.

8 His conclusions will, I anticipate, move  
9 our country in the direction of utilizing high  
10 voltage mining equipment, and benefit from the many  
11 advantages offered, such as lower cost energy, and  
12 higher productivity.

13 Our major concern that we wish to comment  
14 on deals with the issue of the installation and  
15 handling of the high voltage trailing cable, along  
16 with the use of high voltage gloves, all of which  
17 seem to hamper operator acceptance of the machinery.

18 Part 75, paragraphs A-27, A-28, and A-33,  
19 address the trailing cable and glove issues. It is  
20 the content of these paragraphs, and their potential  
21 impact, which cause us to ask MSHA to reconsider the  
22 overall concept of just exactly what we, as an  
23 industry, are trying to achieve, and what impact it  
24 will play on the coal miner who must adhere to these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 final requirements.

2 Our overall comment is that this high  
3 voltage trailing cable should be treated the same as  
4 any other trailing cable used on underground phase  
5 equipment. Information provided to this committee,  
6 from other experts, concerning the improvements and  
7 design of the high voltage trailing cable over that  
8 of the medium and the low voltage trailing cables,  
9 describe the extra features that contribute to an  
10 overall safer power system.

11 Couple this enhanced cable design with  
12 the numerous additions of safety features, such as  
13 the proposed look-ahead circuits, reduced tolerances  
14 of electrical potential, and daily inspections being  
15 mandated by this Proposed Rule, results in the safest  
16 trailing system found underground.

17 Bulky, cumbersome to use, high voltage  
18 rubber gloves designed for work on bare, high voltage  
19 circuits, are probably not the best possible  
20 protective device to use when handling this special  
21 trailing cable.

22 Our involvement, over the past seven  
23 years, with operators of continuous miners, have  
24 shown that these gloves become a hindrance to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 safe operation of the equipment.

2 The machine operator cannot easily  
3 relocate the trailing cable when needed, or perform  
4 many of the other tasks that he or she must do while  
5 wearing these unmanageable gloves.

6 We recommend MSHA should consider  
7 mandating the use of workgloves in good condition,  
8 and recommending supplemental items, such as mitts,  
9 hooks, tongs, or slings, be available for use by the  
10 operator.

11 Our data being presented today will  
12 conclude, without a doubt, that using work gloves to  
13 handle the high voltage trailing cable is the best  
14 possible solution to offer the underground coal miner  
15 to perform his or her job.

16 Along the same thought process, the high  
17 voltage trailing cable should also be treated as  
18 existing medium and low voltage trailing cables, as  
19 it routes from the power center to the continuous  
20 miner.

21 This cable, complete with all of its  
22 enhanced design, and protective circuitry, must be  
23 permitted to be placed on the mine floor or hung, if  
24 preferred, from the rib along the entryway.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Movement in this entryway should permit  
2 food and maintenance vehicular traffic, just as the  
3 medium and low voltage trailing cables. The goal for  
4 the United States coal industry is the introduction  
5 of high voltage continuous miners that incorporate  
6 enhanced design and safety features and do not  
7 negatively impact the productivity of the coal miner.

8 Our country must not hinder productivity  
9 by limiting the use of new technology, especially at  
10 a time of increasing global demand for power  
11 generation. Rather we need to ensure our country  
12 benefits from being the leader in coal production,  
13 miner productivity, and safety.

14 Thank you for your time allowing our  
15 company to comment on this important subject, and for  
16 the consideration of our options on this Proposed  
17 Rule, consideration of our opinions on this Proposed  
18 Rule.

19 Now it is my privilege to introduce to  
20 you Dr. --

21 MR. NICHOLS: Let me see if the panel has  
22 any questions so far.

23 MR. THOMAS: Okay.

24 MS. EL-BASSIONI: I have a question.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. NICHOLS: Go ahead.

2 MS. EL-BASSIONI: What is your definition  
3 of a work glove?

4 MR. THOMAS: Our definition of a work  
5 glove is a leather type of glove that the typical  
6 coal miner has underground that he uses every day in  
7 his normal duties.

8 MS. EL-BASSIONI: And are they  
9 requirements that that work glove has to meet?

10 MR. THOMAS: No.

11 MR. NICHOLS: Go ahead.

12 MR. CHECCA: Just maybe some  
13 clarification. You had talked about, under Part 18,  
14 the barrier, you talked about barriers, or just the  
15 copper interlock would act as a barrier to access  
16 anything in that enclosure.

17 Are there situations where  
18 troubleshooting of a control circuit would have to  
19 take place, and are you proposing some method of  
20 getting around the interlock for the control  
21 circuitry?

22 MR. THOMAS: Our current existing  
23 designs, that have been in place since 1997, have  
24 cover interlocks on every enclosure that contains

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 high voltage equipment, where you have the  
2 possibility of accessing the high voltage component.

3 We do install a small bolt-on cover onto  
4 the main cover of the controller that has access to  
5 certain terminal strips, or fuses, that are the 120  
6 volt circuitry, typically. So those are barriered,  
7 or partitioned off from anything that was inside the  
8 controller.

9 But the way that the current ruling was  
10 proposed it didn't allow for us to utilize that  
11 design that we have had in place since 1997, where we  
12 were allowed to utilize just cover interlocks, and we  
13 were able to include low, medium, and high voltage  
14 all on the same controller.

15 MR. NICHOLS: Anybody else?

16 (No response.)

17 MR. NICHOLS: David, about three years  
18 ago we had information that indicated that Joy,  
19 within five years, would no longer manufacture  
20 anything but high voltage miners. Can you --

21 MR. THOMAS: Yes, I remember that  
22 statement, that we hoped would happen. And the  
23 result of that is we have, at this point, 59 miners,  
24 41 of those being made for the United States, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 remaining are in other countries.

2 We had hoped, at this point in time, that  
3 we would be manufacturing much more high voltage  
4 equipment, but due to the petition process, that our  
5 coal companies have experienced, we have a lot of  
6 reluctance to order anything above a 950 volt mining  
7 machine.

8 MR. NICHOLS: Okay. All right, we will -  
9 - go ahead.

10 MS. EL-BASSIONI: Do you foresee the  
11 manufacturing of 4,160 volts continuous miner any  
12 time soon?

13 MR. THOMAS: I see it happening, yes, I  
14 do. And I would, as a manufacturer, don't want to  
15 limit this rule just to 2,400 volt. As a  
16 manufacturer we would like to keep the 4,160  
17 available because if history follows itself, and you  
18 take a look at the longwall equipment, the first  
19 machines were 2,300 volt longwall shears.

20 And most of the machines sold nowadays  
21 are the 4,160. That is just the next movement. So  
22 we might as well keep our rules set up, that we can  
23 move to 4,160 when the time permits, and we also  
24 reduce the current that is needed to run that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 equipment at that higher voltage.

2 MR. NICHOLS: Anybody else?

3 (No response.)

4 MR. NICHOLS: I believe you told me,  
5 earlier, that you will be leaving a disc with us?

6 MR. THOMAS: Yes.

7 MR. NICHOLS: Okay.

8 MR. THOMAS: Even though you are sitting  
9 behind me I will assume I'm addressing you directly.  
10 Thank you.

11 To finish up my presentation, it is now  
12 my privilege to introduce to you Dr. Thomas Novak,  
13 department head of mining and minerals and  
14 engineering in Virginia Polytech Institute and State  
15 University.

16 Dr. Novak's expertise in mine electrical  
17 systems, his expertise is in mine electrical systems,  
18 and he has conducted numerous research projects  
19 dealing with underground power systems.

20 Dr. Novak, well known and highly regarded  
21 throughout the mining industry, has held positions at  
22 the University of Alabama, Penn State University, the  
23 U.S. Bureau of Mines, Pittsburgh Research Center, and  
24 Republic Steel Corporation Northern Coal Mines

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Division.

2 He has published many articles and  
3 presented numerous papers detailing underground mine  
4 power systems, and has been an expert consultant on  
5 many legal proceedings.

6 Joy contacted Dr. Novak to investigate  
7 his desire to conduct research on the safety aspect  
8 of high voltage trailing cables, compared to cables  
9 used on medium and low voltage machines.

10 This topic has been discussed throughout  
11 the industry, beginning with the introduction of the  
12 first high voltage continuous miner. Various  
13 opinions on the level of safety gained were given,  
14 but substantial research and analysis were not  
15 available to support the opinions. At least not  
16 available until now.

17 The research and resulting factual data  
18 have now been completed, and I desire to make it  
19 available to the mining industry, today, at this  
20 hearing.

21 Mr. Chairman, it is my pleasure now to  
22 pass the podium over to Dr. Novak, to present his  
23 research on the safety analysis of trailing cables  
24 used on high voltage continuous miners.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1           And I have given each one of your panel  
2 members a study research paper that Dr. Novak has  
3 prepared for this.

4           DR. NOVAK: Thank you, Dave. Just one  
5 point of clarity. I'm a professor at Virginia Tech.

6           However, I'm acting as an independent consultant, so  
7 I just wanted to add that disclaimer.

8           When I began this study I really didn't  
9 know how it was going to turn out. I had been  
10 approached by Joy Mining Machinery to do the study  
11 and I agreed to do it, but I didn't indicate, in any  
12 way, how I thought the results of the study would  
13 turn out.

14           Now, the purpose of the study was to  
15 answer two major questions. The first one, is a  
16 trailing cable in high voltage systems more likely to  
17 be damaged and cause a shock hazard as compared with  
18 cables used on existing low and medium voltage  
19 systems?

20           And the second question is, if a direct  
21 contact shock does occur, on a high voltage system,  
22 is it more dangerous than one from an existing low  
23 and medium voltage system, given the fact that we  
24 have the additional requirements such as a much lower

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 ground fault current limit as well as very sensitive  
2 ground fault protection?

3 To start off, and I'm not going to go  
4 into this in detail, I think Mark Fuller, from  
5 Americable, described nicely the differences in cable  
6 construction between the medium voltage and the high  
7 voltage.

8 But we will start out here by pointing  
9 out, this is a cross section and actual photograph of  
10 a low voltage cable which is typically used in a 440  
11 volt, or 550 volt applications.

12 The standard configuration is a  
13 symmetrical arrangement to the power conductors, each  
14 power conductor then has a separator, which is a  
15 mylar tape wrapped around it, then its insulation,  
16 typically 80 mils for this case.

17 And then you have your inner and your  
18 outer jackets surrounding the insulated material and  
19 the ground of your conductors. Now, the major  
20 difference between this and medium, and high voltage  
21 cables is there is no shielding that is required for  
22 this particular cable.

23 Now, as we move up to the medium voltage  
24 system, the major difference between this and the low

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 voltage cable is that a shield is required. The  
2 shielding is a braided copper and nylon covering  
3 around each phase conductor, the insulation of each  
4 phase conductor.

5 And the copper has a 60 percent coverage.

6 And this, essentially, presents a grounding  
7 conductor around each phase conductor, which will  
8 minimize, significantly minimize the potential for  
9 phase to phase types of faults, and although you  
10 can't totally guarantee that they would not occur.

11 But by having the grounded conductor  
12 around there it would have to go through there, in  
13 order for a phase to phase fault to occur, because  
14 the contact of the phase conductor with the grounded  
15 shield should cause the ground fault protection to  
16 activate.

17 Now, there is some significant  
18 differences. I want to go through the thicknesses of  
19 the insulation, or things of that sort, but some  
20 major points to point out, and Mark also did this.

21 Around each copper phase conductor you  
22 have a conductor shield which is made of  
23 semiconducting material. Now, around that you have  
24 the insulation, and a big advantage of this over the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 medium voltage cable is that you have a  
2 semiconducting tape that is wrapped around the  
3 insulation of each phase conductor prior to the nylon  
4 shielding.

5 So as Mark pointed out, essentially  
6 instead of having that 60 percent coverage that you  
7 have with simply the nylon, copper nylon braided  
8 shield, you also have the coverage of the tape which  
9 essentially results in 100 percent coverage.

10 And, I would like to point out, in the  
11 picture on the top right, the requirements of the  
12 outer jacket, two separate colors being required, the  
13 inner jacket in this case being green, while the  
14 outer one is orange, which should help identify any  
15 torn pieces of jacket that have been removed in the  
16 process of the normal mining operation, such that a  
17 worker, a miner, would identify this condition prior  
18 to it becoming a more serious condition, so that the  
19 cable can be repaired.

20 What I tried to do in performing this  
21 study was to identify typical hazards that one may  
22 encounter associated with trailing cables. And the  
23 first one being if the cable is actually punctured by  
24 a nail, a spad, surveying spad, or some metallic

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 object, so that it pierces the outer insulation,  
2 excuse me, the outer jacketing of the cable, and  
3 through the insulation into a phase conductor, as  
4 shown here.

5 Now, with a low voltage cable when this  
6 happens there is no shielding around the insulation  
7 jacket of the phase conductor. Therefore there is no  
8 return path to ground. In this situation the nail is  
9 elevated to the full line to ground voltage,  
10 depending upon what voltage you are using, whether it  
11 is 480 or 600 volts.

12 It would be the neutral voltage, which  
13 would be those line voltages divided by the square to  
14 three. And this type of hazard can go undetected for  
15 an extended period of time because no tripping would  
16 occur, so someone could inadvertently attempt to pick  
17 up this cable, contact this metallic object, and  
18 subject himself, or herself, to the full line to  
19 neutral potential of the system.

20 Now, we have a significant improvement  
21 with the medium voltage cable. We have 60 percent  
22 coverage of the braided copper shield. And in most  
23 cases the shield would be in contact with the  
24 metallic object and would provide a return path to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the neutral of the power center transformer which  
2 would, then, allow the ground fault protection to  
3 trip, provided the current in the grounding conductor  
4 exceeds six amps.

5 Now, you could have, you know, there is a  
6 remote possibility because the grounded shield only  
7 has 60 percent coverage at a very, very thin metallic  
8 object, such as a strand of cable, or something of  
9 that sort, could possibly penetrate through the  
10 shielding material without actually contacting the  
11 copper portion of the shield.

12 In which case you would then have the  
13 same situation that you had with the low voltage  
14 case. Now, if we look at the high voltage cables,  
15 again, the insulation of each phase conductor is  
16 wrapped with a semiconductor tape, as well as the  
17 grounded shield.

18 And this, essentially, provides 100  
19 percent coverage of the phase conductor which,  
20 virtually, eliminates this hazard. Now, the other  
21 nice advantage is that it provides, well, as in the  
22 previous example, it does provide a conductive path.

23 But now the fault current only needs to  
24 exceed .125 amps, or 125 milliamps in order for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 ground fault protection to operate. This is  
2 extremely, extremely sensitive, when you compare the  
3 difference between the pickup settings of the ground  
4 fault relays for the high voltage system as compared  
5 to the low and medium voltage systems.

6 The next shock hazard I addressed was if  
7 a cable is gouged and allows water and dirt to  
8 penetrate a power conductor, and I think a previous  
9 speaker had mentioned this situation, and what could  
10 happen where a piece of the outer jacket and a part  
11 of the insulation could be gouged enough so that it  
12 would allow dirt and moisture, or water, to penetrate  
13 to the energized phase conductor.

14 Now, when this happens, this creates a  
15 leakage path to the cable jacket such that a person  
16 contacting this jacket, even a few feet away from  
17 this actual gouge, can be subjected to a shock.

18 And, again, this could go for an  
19 indefinite period of time with the low voltage system  
20 because there is no shielding around the power  
21 conductors that will provide a return path for the  
22 the leakage current to return back to the power  
23 center transformer.

24 Now, if a person should contact the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 surface of this cable you have the possibility of  
2 current leaking along the jacket, through the person,  
3 and return through earth back to the power center  
4 transformer which could, potentially, cause a shock  
5 hazard.

6 With the medium voltage cable, the  
7 braided shield helps reduce this hazard because --  
8 let me see if I can get this here -- if you look at  
9 the gouge here, and you have a conductive, and it may  
10 be a high resistive path that allows this leakage  
11 current to flow to the surface of the cable, but if  
12 the resistance of this leakage path is low enough,  
13 between the phase conductor, through the insulation  
14 to the shielding, it will cause tripping.

15 However, you have to have six amperes  
16 with the existing medium voltage system to cause the  
17 circuit breaker to trip. Now, that means that the  
18 leakage resistance between the phase conductor and  
19 the shield has to be less than 65.5 ohms, okay?

20 If it is greater than that it is not  
21 going to trip because the fault current is not going  
22 to be over six amps. And this is a relatively low  
23 leakage resistance.

24 However, with the high voltage with the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 shield here, you have a very low pickup setting for  
2 your ground fault relay. And it only takes 125  
3 milliamps, or .125 amps to flow to the shielding  
4 around this phase conductor in order to cause the  
5 circuit breaker to trip.

6 And that means this leakage resistance  
7 that occurs here could be as high as 8K ohms. That  
8 is for the 2,400, or 2,300 volt system, for the 4,160  
9 it would be significantly higher, and would make the  
10 system even that much more sensitive.

11 The third scenario that I looked at was  
12 if a cable was to be damaged to the point that their  
13 energized conductors were exposed, okay, for this to  
14 happen you have to have the outer jacket, the inner  
15 jacket stripped off, the shielding -- well, in low  
16 voltage case you don't have shielding.

17 So if we start out here, from the outside  
18 of the low voltage cable, typically you have a  
19 minimum of 225 mils of reinforced inner and outer  
20 jacketing. You have a minimum of 80 mils of  
21 insulation, and then just a layer of mylar tape.

22 We get somewhat of an improvement with  
23 the medium voltage cable. We have the minimum of 205  
24 mils of reinforced inner and outer jacket. Now we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 have the braided nylon copper shield. We also have a  
2 layer of rubber backed fabric tape, and then a  
3 minimum of 80 mils of insulation, and then right at  
4 the interface between the insulation and the phase  
5 conductor we have a layer of mylar tapes.

6 So that provides a little more physical  
7 protection for the cable. Now, with the high voltage  
8 cable we have a minimum of 225 mils of reinforced  
9 inner and outer jacketing. We have the braided nylon  
10 copper shield. We also now have a layer of  
11 semiconducting tape around the insulation of each  
12 phase conductor.

13 We have a minimum of 110 mils of  
14 insulation. And then this additional 15 mils of  
15 semiconducting compound which encircles the bare  
16 copper conductors, power conductors.

17 So to look at the physical construction  
18 of the cable, and the advantages that you would have  
19 with the high voltage cable, first of all, the  
20 combined thickness of the inner and outer jackets is  
21 increased by 7.3 percent.

22 The insulation thickness is increased by  
23 37.5 percent. The rubber backed fabric tape on the  
24 medium voltage cable is replaced by a layer of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       semiconductive tape. The mylar tape is replaced with  
2       15 mils of the semiconductor compound.

3               And an important point, also, is the  
4       separate colors required for the inner and outer  
5       jackets, which increases the possibility for visually  
6       detecting damaged jackets on the cable.

7               Now, let's suppose that a situation did  
8       occur where a miner, or a worker, inadvertently  
9       contacted a bare energized conductor. We want to  
10      look at the situation, is the situation any worse  
11      than what it is with the low and medium voltage  
12      cables, comparing the high voltage cables now.

13              Now, in order to do this I constructed a  
14      three phase generic circuit so that we could actually  
15      model these electrical shock hazards. And it  
16      essentially consists, this is the secondary of the  
17      power center transformer that would feed the  
18      continuous miner.

19              You will have some small impedance  
20      associated with the transformer. This is the cable  
21      going up to the continuous miner. In the cable,  
22      itself, you will have some impedance due to the  
23      inductance and resistance of the cable.

24              Now, you also get this shut capacitance.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now, this is not an issue with low voltage cables,  
2 as I will explain in a minute, because the shielding,  
3 when you don't have shielding the shunt capacitance  
4 is very, very low, and can usually be neglected.

5 This is the neutral grounding resistor.  
6 And, again, a major difference to point out here is  
7 that with the low and medium voltage systems, the  
8 federal regulations require that the ground fault  
9 current be limited to 25 amperes.

10 However, the standard practice, over the  
11 years, has evolved into using a 15 amp current limit  
12 on power centers. Now, when you compare this to the  
13 high voltage regulations, they limit the maximum  
14 ground fault current down to .5 amperes, compared to  
15 that 15.

16 That is a significant reduction in the  
17 maximum ground fault current. And also, as I  
18 mentioned, the sensitivity of the ground fault  
19 relaying which would be, you know, located in this  
20 position up here, will pick up at .125 amps for the  
21 high voltage system, whereas the medium and low  
22 voltage system it picks up at 40 percent of the  
23 maximum ground fault current.

24 So if you have 40 percent of 15 that is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 going to be the six amperes. Now, I also modeled a,  
2 if we have a line to ground fault, I put in a fault  
3 resistance here, which could possibly model a human's  
4 body that would contact between the phase conductor  
5 and an earth ground.

6 Now, we can simplify this three phase  
7 model into a single phase model quite easily, and we  
8 can neglect some of the impedances such as the line  
9 impedances of the cable, as well as the impedance of  
10 the transformer, because they are relatively small  
11 and insignificant when compared to a body  
12 resistance, as well as compared to the resistance of  
13 the neutral grounding resistor, and with the  
14 reactance due to system capacitance for the high  
15 voltage system, particularly.

16 All right, in order to use this model we  
17 have to calculate some values for each of the  
18 elements in the system. So, first of all, let's look  
19 at the neutral grounding resistor.

20 If we, as required in low voltage, if we  
21 were going to limit it to a maximum of 15 amps on a  
22 480 volt system we would take the line to neutral  
23 voltage, which would be the 480 divided by the square  
24 root of three, which ends up being 277, you divide it

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 by 15, and the value of your neutral grounding  
2 resistor would be eighteen and a half.

3 With the 600 volt system, following the  
4 same logic here, the only difference is now we are  
5 using 600 volts. Again, the maximum ground fault  
6 current is still limited to 15 amps and we have a  
7 23.1 ohm resistor.

8 If we look at a 1,040 volt system, again,  
9 we still require a maximum ground fault current to 15  
10 amps, and that results in a 40 ohm grounding  
11 resistor. Now, with the high voltage, with the 2,400  
12 volt system, we are limiting this now to a half of an  
13 amp which tells us, now, that we need a 2.77 kilo  
14 ohm, or 2,770 ohms worth of resistance in that  
15 neutral grounding resistor to limit this value.

16 I didn't put the 480, I mean, the 4,160  
17 on here because initially when I started this study  
18 it was only directed towards the 2,400 volt system,  
19 because those are the machines that are in use right  
20 now.

21 Later on, as the study progressed, Joy  
22 Mining Machinery requested that I also take a quick  
23 look at 4,160, which I will do later, and in that  
24 particular case that value of resistance here would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 be 4.8 kilo ohms.

2 The cable capacitance, as I said, this  
3 isn't an issue for low voltage because it does not  
4 have shielding around the conductor. This is the  
5 phase conductor here, you have the insulation, and  
6 then you have the shielding, and if you know a little  
7 bit about electrical systems you know that if you  
8 have parallel conductors you are going to have some  
9 capacitance associated with this.

10 And since this is along the entire length  
11 of the cable, the longer the cable, the more effect  
12 the capacitance is going to have. And it is not  
13 really an issue for the 1,000 volt system, but it  
14 does enter into the picture a little bit more for the  
15 high voltage system.

16 Now, I went through some calculations,  
17 I'm not going to bore you with this. But it turns  
18 out that for a typical cable you have, the  
19 capacitance, the shunt capacitance is going to be 127  
20 times 10 to the minus 12, that is PICO, boy, okay.  
21 That minus 12 shouldn't be there because the PICO is  
22 there, I just noticed that right there.

23 The length of the cable, but it doesn't  
24 change this result here. But the length of the cable

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 is dictated for a typical length of cable is given in  
2 Part 18 of the Code of Federal Regulations, and for  
3 this case what we are going to use is 800 feet, and  
4 this is the resulting capacitance for that.

5 Now, when you are modeling body  
6 resistance to identify the severity of electric  
7 shock, this is a very vague and hard to quantify  
8 term, because body resistance varies considerably,  
9 depending upon the individual conditions.

10 If a person is sweating profusely their  
11 body resistance is going to be lower. If they are  
12 standing in a puddle of water, if they are wearing  
13 wet gloves, or whatever.

14 But, typically, body resistance can be as  
15 high as 10,000 ohms, and as low as, well you know,  
16 Underwriter's Laboratories uses 500 ohms. So I tried  
17 to go to the literature and find the values that are  
18 commonly used in the Institute of Electrical and  
19 Electronics Engineers in the United States typically  
20 use a pessimistic value body resistance of 1,000  
21 ohms.

22 Whereas the IEC, which is the European  
23 counterpart for the IEEE uses this curve for body  
24 resistance as a function of the voltage that is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 applied across the person.

2 So I want to use both of these, and I'm  
3 going to use the 650 for the IEC, and then the 1,000  
4 for the IEEE. So now we have all the information  
5 that we need here. And for each individual voltage  
6 level all we have to do is to put in the appropriate  
7 values of the voltage, the grounding resistor, the  
8 system capacitance, and body resistance for a person  
9 to identify the severity of an electric shock.

10 And I did this here, on a curve, and was  
11 surprised to find out, if this is applied to body  
12 resistances, and I wanted to give a range from a low  
13 value of 400 to a high value of 2,000 ohms of  
14 resistance.

15 This right here is, let's see, is that  
16 for the 1,040? Yes. I'm partially color blind so I  
17 have a hard time. So this is for the 1,040 volt  
18 system. And you can see all the way out to around a  
19 body resistance of 1,400 ohms you are going to have a  
20 higher body current if a person directly contacts an  
21 energized conductor, than you would for the high  
22 voltage systems.

23 The one on the bottom here, the blue one  
24 being the 2,400 volt system, the one right above it,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 and it shows only a slight difference between that  
2 being the 4,160 volt system. So the results are  
3 extremely interesting showing that the current  
4 flowing through a body, which is the indication of  
5 the severity of the shock is actually worse for the  
6 medium volt system.

7 And actually in these very low ranges,  
8 down here, could actually be even worse than the, for  
9 the low voltage systems. And the reason for that is  
10 because for that maximum ground fault current limit  
11 that is required by the Proposed Rule.

12 This table just summarizes the body  
13 currents that you could expect at the different  
14 values for body resistance. I use 500, I used 650,  
15 and then I used 1,000 here, and calculated the body  
16 currents. And you can see this is for 480, well  
17 given a body resistance of 500.

18 At 600 you get 662, up over -- these are  
19 all expressed in terms of milliamps. So this one  
20 here would be 1.1 amp, and the values for the high  
21 voltage systems, both 2,400 and 4,160, at that low  
22 value of body resistance are actually lower than both  
23 the medium and the low voltage systems.

24 Now, if you look at the circuit breaker,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would it trip? In these cases the current would have  
2 to exceed 6 amperes before it would trip. These  
3 values aren't even close.

4 However, in this range here, with a  
5 pickup setting of .125 amps, yes, the ground fault  
6 trip relay would trip. And you can see here -- now,  
7 as you get out here, let's just jump out to the 1,000  
8 ohm body resistance, the currents do start exceeding  
9 the low voltage.

10 However, if you look at the medium  
11 voltage system here, even with 1,000 ohm body  
12 resistance, the current through the body is still  
13 going to be less for the 2,400 volt system, and the  
14 4,160 volt system, as compared for the 1040 volt  
15 system.

16 And in these cases the circuit breaker  
17 would trip, whereas in these cases it wouldn't. So  
18 what I did was to plot these all on a graph. I don't  
19 want to spend a lot of time, because I think I pretty  
20 much made the point, showing the different plots of  
21 the body currents on this log curve, and these dash  
22 lines showing pickup settings for -- this right here  
23 is for the low and medium voltage system, this right  
24 here as being for the high voltage system.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           And, again, you can see, at the low value  
2 body resistance of 500 ohms, that your 2,400 and  
3 4,160 volt systems are on the low side of the body  
4 current. Similar situation with 650.

5           And when you get up to 1,000 ohms the low  
6 voltage systems, they are still, the body currents  
7 are lower than for the high voltage. However, the  
8 medium voltage system, the 1,040 volt system, is  
9 still significantly higher than the body currents  
10 that you would expect from the high voltage system.

11           One last point I wanted to make, there  
12 has been talk about flash hazards associated with  
13 high voltage systems. But as the voltage of the  
14 system becomes available the maximum available fault  
15 current actually decreases.

16           And as most of you probably know the  
17 flash hazard is a function of the magnitude of the  
18 current, more than anything else. Now, I'm not  
19 saying that you are not going to get a flash hazard,  
20 that you are never going to get a flash hazard  
21 associated with a high voltage system.

22           However, I am showing here that the flash  
23 hazard is not going to, is not going to be any worse  
24 than you would get with low and medium voltage

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 systems. And, in fact, it would even be less.

2           Although, you know, when you are talking  
3 about 7,000 or 4,000 amps, you still could get a  
4 significant flash hazard. And this just shows how  
5 the maximum -- this right here is the full load  
6 current based upon the system voltages for a 1,500  
7 KVA transformer, and this is assuming a 5 percent  
8 impedance.

9           So this is the full load current if that  
10 power center were fully loaded, okay, for conditions,  
11 you know, all the same, 1,500 KVA, with the exception  
12 that the system voltages are going up.

13           And you can see that the full load  
14 current, and this is one of the benefits that we were  
15 talking about earlier. You can use smaller cable,  
16 for this given amount, because you are transferring  
17 the same amount of power down here, with only 208  
18 amps, as you are up here, with 480, and look at the  
19 difference in the current that you can experience.

20           Now, you can take this full load current  
21 and do a quick, dirty, calculation to determine what  
22 is the maximum three phase fault current that you  
23 would expect if you had all three phases bolted  
24 together creating a short circuit.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           And a quick way of doing that is just to  
2 take the full load current and divide by the  
3 impedance of the transformer. And you can see that  
4 the maximum available fault current significantly  
5 decreases as you go from the low voltage through the  
6 medium voltage, and up to the high voltage.

7           And I will conclude my presentation at  
8 this point, and I think I'm trying to make the point  
9 that with the additional safety requirements that are  
10 specified in this Proposed Rule, the high voltage  
11 cables are as safe, or safer, than those presently  
12 being used for medium and low voltage.

13           MR. NICHOLS: Thank you.

14           MR. CHECCA: On some of the graphs you  
15 showed, where you charted the different shock  
16 currents that were available, I noticed you had a  
17 fibrillation area there. Are you implying that 2,400  
18 can possibly be touched without causing a problem?

19           DR. NOVAK: No, I don't want to do that.  
20           The reason I put that up there was strictly as a  
21 reference to show you how sensitive these relays are  
22 actually getting. They are getting close to a point  
23 where they are almost capable of doing that.

24           But by no means am I, and I go through

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this in greater detail, if you get the chance to read  
2 the report, that none of these relaying systems are  
3 designed to prevent ventricular fibrillation.

4 MR. CHECCA: Okay.

5 DR. NOVAK: But the point I was trying to  
6 make is that if we are going to consider medium and  
7 low voltage cables used, with the existing cable  
8 handling used for them, the high voltage cables, this  
9 analysis has shown that the protection that they  
10 afford is as great, or greater than the medium and  
11 low voltage cables.

12 MR. CHECCA: Based on your study, I know  
13 this is not part of this rule, but if the medium and  
14 low voltages systems required sensitive ground fault  
15 tripping with higher value neutral resistors, could  
16 we maybe achieve a situation where a direct contact  
17 with a live circuit could provide protection?

18 DR. NOVAK: I really haven't looked  
19 directly at that. But that -- you are never going to  
20 be 100 percent sure, Larry, okay? Because things  
21 vary so much, individuals vary so much. I mean, if a  
22 person could have a heart condition and have,  
23 possibly, 20 milliamps go through his heart, and that  
24 could kill them.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           But based upon some of these predictions  
2 I would say that I see that as a possibility, yes, in  
3 the low voltage and -- I would have to take a closer  
4 look at the medium voltage.

5           MR. CHECCA: Okay, thank you.

6           MS. EL-BASSIONI: Tom, in your study you  
7 looked at the cable that had the two, the double  
8 jacketed cable?

9           DR. NOVAK: Correct.

10          MS. EL-BASSIONI: Do you have any opinion  
11 on that TPU cable that Mark Fuller presented?

12          DR. NOVAK: Actually Mark sent me a piece  
13 of that. I have, as a matter of fact, the  
14 photographs of the cable that I made came from  
15 samples that were sent to me from Americable. And  
16 that jacket on that TPU cable is extremely durable.

17           I mean, it is very, very tough. Now, I  
18 have not done any testing or analysis, and the  
19 electrical analysis doesn't really enter the picture  
20 at this point. But I would venture to say that that  
21 jacket, in my opinion, is much more durable than the  
22 standard jacket that you use on other cables.

23          MS. EL-BASSIONI: Thank you.

24          MR. NICHOLS: Anybody else?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (No response.)

2 MR. NICHOLS: Okay, thanks. The next  
3 presenter will be Dave Beerbower with Peabody Energy.

4 MR. BEERBOWER: Thank you. My name is  
5 Dave Beerbower, I'm the vice president of safety for  
6 Peabody Energy.

7 Peabody Energy, in conjunction with Joy,  
8 pioneered the use of underground high voltage miners.  
9 We were the first company to have a petition  
10 approved for the use of high voltage miners, and have  
11 roughly half of the high voltage miners in use in the  
12 United States today.

13 And so I think our experience, and our  
14 miners use of the high voltage miners, should go a  
15 long way in talking about what we think to be a  
16 practical solution to the Rule.

17 I personally met with a lot of the  
18 operators and helpers who have handled the cable, and  
19 my comments will, in large part, express to you the  
20 comments that have been expressed to me.

21 And as we talk about, and I think you  
22 have heard from several of the miners here today, the  
23 gloves in particular is a bone of contention with us,  
24 as operators, in trying to maintain the good gloves,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and go through the testing procedures with them, and  
2 the cost associated with them.

3           What we have found is that this, we  
4 really believe, that this cable should be treated as  
5 regular trailing cable from the power center to the  
6 miner. If a company chooses to hang it, they can do  
7 that. If they don't want to do that, they should be  
8 allowed to handle it just as they would any other  
9 trailing cable, particularly with the protections  
10 that are now present in the current systems.

11           Secondly if, we would also suggest that  
12 for gloves, that a miner handling this cable should  
13 wear a pair of gloves, without getting specific into  
14 the type of gloves that they would wear. It could be  
15 leather, it could be a heavy duty cotton glove if it  
16 is a dry coal mine. It could be a rubber coated  
17 glove if it is a coal mine.

18           But they should wear some type of  
19 serviceable gloves, meaning that they don't have  
20 holes in them, and things such as that. I would  
21 agree, though, that there are some miners that would  
22 rather use the electricians gloves. And I think we  
23 can make provision for that by saying that if a  
24 miner, in good conscience, requests the use of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 electrician's gloves to handle the cable we would  
2 provide them to them.

3 And I think we would maintain a set of  
4 these electrician's gloves on every section that uses  
5 a high voltage miner, such that if it did come up  
6 during the course of the shift, if somebody requested  
7 the use of the gloves, that they would have them  
8 available to use.

9 I want to kind of go through a couple of  
10 the other provisions. And we will be submitting  
11 written comments with all the things that I'm going  
12 to be talking about here. But in section 75.827,  
13 that deals with the hanging of the cable and the  
14 handling of it.

15 We think that 75.827 should only include  
16 portion 75.827C(1)ii, and D, and change 75.827C(I) to  
17 read from the power center coupling for a minimum  
18 distance of ten feet in by the power center.

19 And that is talking about extra  
20 insulation that goes over the top of the cable as  
21 some kind of a conduit to be covering. So what we  
22 are saying is that we would maintain that conduit for  
23 35 feet on the miner, from the miner's strain gauge,  
24 strain clamp out-by, and then from the coupler off

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the power center ten feet in-by. Because, again,  
2 those are the areas that would most be handled by  
3 miners.

4 In 75.828, again, we have talked a lot,  
5 there is a lot of discussion in several of the  
6 sections there about the gloves, our comments would  
7 be the same. In every case in which a miner should  
8 handle the cable they should wear gloves, and they  
9 can use a hook, or tongs, or mitts, or any other kind  
10 of device that a company and their miners decide  
11 would be the most practical way to handle the cable.

12 Under section 75.830, there is a  
13 discussion there about splices, and what types of  
14 splices should be made, and where they can be  
15 located. We believe that in the way that enforcement  
16 has been carried out right now there needs to be that  
17 reference, going back to MSHA's program policy manual  
18 cited on section 75.603, and that that should prevail  
19 as determining whether it is a splice or a repair of  
20 the cable.

21 Next, in 75.832A, B, and C, there is  
22 discussion there about the frequency of inspections  
23 of the trailing cable. There is one provision in  
24 there that says: At the beginning of each shift

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 there is an inspection that should take place.

2 That would preclude us from doing hot  
3 seat change-outs which we do at most of our  
4 operations. We would suggest that that language  
5 should be changed to saying that an examination  
6 should be made once during the shift, and not be  
7 specific about at the beginning of the shift.

8 And we are also asking that that would be  
9 a weekly, there is reference there to a seven day  
10 frequency. We suggest that that should be a weekly  
11 frequency on some of the other tests that have to be  
12 made.

13 And I think that will conclude my  
14 comments. Again, we will be submitting some written  
15 comments with some other small issues on them. But,  
16 again, I think as Joy has stated, and some of the  
17 other folks have stated, I think it is imperative  
18 that we get a rule that is practical, that we don't  
19 put miners in a position of am I going to put these  
20 electrician's gloves on, or not.

21 I think we ought to allow the technology  
22 that is available to us to be used underground, in  
23 both ways, to increase the productivity, but also to  
24 increase the safety for the miners that are handling

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 this cable. Thank you.

2 MR. NICHOLS: Go ahead.

3 MS. EL-BASSIONI: Salwa El-Bassioni.  
4 David, you mentioned that miners should wear gloves,  
5 regardless what type. But when they use the hooks,  
6 and tongs, and the others, are you proposing that  
7 they also use gloves when they do that, or either or?

8 MR. BEERBOWER: I would say either or.  
9 Again, if it is an insulated tong then it would not  
10 be necessary for them to wear gloves. Again, I don't  
11 want to preclude any type of cable handling device  
12 that is out there.

13 But, again, if it is insulated I see no  
14 reason for them to have to wear gloves to do that.

15 MS. EL-BASSIONI: Okay, thanks.

16 MR. NICHOLS: Anybody else?

17 MR. STAHLHUT: Yes. Ron Stahlhut. You  
18 mentioned wearing gloves. Maybe I got confused there  
19 when you mentioned 828. Are you recommending the  
20 rated voltage gloves, or are you talking about work  
21 gloves?

22 MR. BEERBOWER: Work gloves.

23 MR. STAHLHUT: Okay, I wanted to be clear  
24 on that.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. BEERBOWER: That is right.

2 MR. NICHOLS: Thanks, Dave. Our next  
3 presenter will be Jeff Mihallik, UMWA.

4 MR. MIHALLIK: Hello, Marvin. I have  
5 seen you before in the other proceedings, from last  
6 year. Just listening to some few comments, you know,  
7 first of all I have 16 years underground, 15 years at  
8 the face.

9 I run shuttle car, I have assistant mine  
10 foreman papers. And, you know, it kind of scares me  
11 to know that we are going to try to put that much  
12 voltage around a lot of people.

13 When you are running these gate roads, in  
14 a three entry section, I tell you, there is only so  
15 much area to put cable at. And the way these shuttle  
16 cars, we run big joist shuttle cars at our place, we  
17 have to have at least seven and a half foot of height  
18 to put our long wall systems in.

19 In a lot of areas we have over eight foot  
20 of height, okay? But it just, to have this cable,  
21 and then hanging, in an area where it could get  
22 damaged, and you not know it got damaged because of  
23 equipment, and you have scoop operators, the way the  
24 canopies are now, it is pretty tough to see if you've

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 run over a cable.

2 You know, something else concerns me, and  
3 I know that everybody has seen it in the papers now,  
4 we are getting younger and younger miners coming in.

5 I'm 43, I was one of the last -- I work at  
6 Foundation Coal Company, Cumberland Mine, down in  
7 Curvey.

8 I was one of the last whitecaps ever  
9 hired there. And the rest we have had experienced  
10 miners coming in, we bring them in from other places.

11 But, you know, and we talk about increased  
12 productivity, okay?

13 And in our particular situation, I mean,  
14 you can only haul it so fast away from the face. And  
15 when you have wet conditions, we are in an area of  
16 the mine right now where we do have wet conditions.

17 I mean, we use screen. We don't mine  
18 that fast in order to have something to make it mine  
19 faster, you know? And I just think it is something  
20 else that we are putting in the face area with a lot  
21 of people that could be, you know, to be very  
22 dangerous, a dangerous situation at the face area.

23 You heard what the man said about what  
24 happened in the long wall situation where you had the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 explosion. I tell you what, I have been in, you  
2 know, we are one of the -- in Pennsylvania, where I'm  
3 at, we are one of the highest, we produce the most  
4 methane, I think, in our region, in our mine.

5 And I hate to see something like that  
6 have an accident happen with that amount of voltage,  
7 and that kind of explosion. You know, it kind of  
8 sickens me to know we are going in this direction  
9 when we really don't have to go in this direction.

10 Fortunately, in Pennsylvania where I work  
11 at, we do have a limitation on splices. We can only  
12 have, we can have five, but one has to be cut out by  
13 the end of the shift. We can only really have four  
14 splices in our cables.

15 But to have an unlimited amount of  
16 splices in cables, that is something else.  
17 Fortunately at our mine we have a policy where if we  
18 do damage a miner cable, we just switch it out, we  
19 have another, we have a jumper, so to speak. We  
20 switch in and out.

21 So I can't tell the horror stories that  
22 these other guys have said. But I hate to see it  
23 come to having that high voltage cable in our mines.  
24 I don't think we need it.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. NICHOLS: Okay, Jeff. Any questions  
2 of Jeff?

3 (No response.)

4 MR. NICHOLS: Okay, thanks. The next  
5 presenter will be Tim Baker, UMWA.

6 MR. BAKER: Good morning, my name is Tim  
7 Baker, I'm deputy administrator for occupational  
8 health and safety for the United Mine Workers. I'm  
9 pleased to be here this morning to offer some  
10 comments on the high voltage continuous mining  
11 machines Proposed Rule.

12 I do want to thank the Agency for  
13 changing the location of the hearing from Pittsburgh  
14 to Morgantown. And I think, obviously, by today's  
15 turnout, given the opportunity that miners will,  
16 including location, will arrive and participate in  
17 the process.

18  
19 What I would like to do today is kind of  
20 expand on the comments that I made in Lexington,  
21 maybe broaden that out a little bit to give you a  
22 feel for the union's position on this particular  
23 rule, and some of the contents of the rule.

24 And I will also submit a copy of these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 comments at the end of the hearing. And, of course,  
2 the union will submit broader comments before the  
3 close.

4 In an effort to place my comments on the  
5 record, in the clearest possible manner, I will try  
6 again to divide the testimony into two specific  
7 areas. The technical aspects of the high voltage  
8 rule as currently written, and published in the  
9 Federal Register.

10 And then I will also attempt to kind of  
11 do a practical application of the Rule, and there  
12 will obviously be times when the testimony kind of  
13 overlaps from technical to practical. And if that  
14 gets confusing certainly stop and ask me questions.

15 I would like to begin with the specific  
16 language of the Proposed Rule, and I think it is  
17 important to understand the union's position  
18 regarding the use of high voltage mining machines.

19 We are not here to request a prohibition  
20 of such equipment within the industry. The union,  
21 and its members, as you can probably tell from some  
22 of the testimony, accept that there is this  
23 technology available. And it is an inevitable and  
24 necessary evolution within the industry.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           However, as with all new and advancing  
2           technology, we need some necessary safeguards. We  
3           need some standards to apply to ensure that you limit  
4           the risk that miners will be exposed to.

5           The union is very concerned about the  
6           desire for the agency not to limit the voltage.  
7           While we recognize the useful application of these  
8           high voltage machines, we must also recognize the  
9           application of high voltage equipment should not be  
10          unrestricted.

11          The union does take great exception with  
12          the Agency's decision not to omit a reasonable limit  
13          on the maximum voltage operators would be permitted  
14          to supply to this type of equipment.

15          The determination, by the writers of the  
16          Proposed Rule, to allow operators to utilize up to  
17          4,160 volts on continuous miners, under this  
18          standard, without fully, and I don't believe fully  
19          knowing the hazards that are being introduced is  
20          unacceptable.

21          The union finds no reasonable explanation  
22          for this decision and the agency, really, offers no  
23          credible data to indicate that the practice is  
24          absolutely safe.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           On page 42814 of the July 16th, 2004  
2 federal register, the Agency states: The Proposed  
3 Rule does not limit the continuous mining machine  
4 voltage specified by the manufacturer to 2,400 volts,  
5 because existing part 18 allows for the approval of  
6 equipment up to 4,160.

7           Now, I'm aware, at this point, of only 23  
8 high voltage continuous miners in this country. Now,  
9 I'm told there are 41 in production, or maybe it was  
10 59 in three different countries. But I'm aware, at  
11 this point, of 23.

12           The maximum voltage on any of these  
13 machines is no greater than 2,400 volts. The union  
14 has just recently been made aware, as a matter of  
15 fact, just as of last week, that there are some  
16 considerations to building mining machines that go  
17 beyond the 2,400 volts, although even listening to  
18 the individual from Joy, I'm not sure how far out in  
19 the future that may be.

20           The union understands that the current  
21 prohibition which does not permit the use of high  
22 voltage in-by the last open crosscut or within 150  
23 feet of pillar workings, has been superseded by the  
24 approval of numerous 101C petitions for modification

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 regarding the use of this high voltage mining  
2 equipment.

3           However, the relaxed standard these  
4 petitions have created should not be permitted to be  
5 exceeded under the Proposed Rule. The fact that Part  
6 18 allows for the approval of equipment up to 4,160  
7 volts, does not mean that practice would be safe in  
8 this instance.

9           There is no piece of mobile equipment, in  
10 the underground coal mining industry, approved for  
11 such voltages. It is impossible to predict hazards  
12 that would, inherently, be created by the  
13 introduction of equipment with such high voltages.

14           Subsequent statements on the same Federal  
15 Register note, the Proposed Rule, like the high  
16 voltage long wall rule, has technical provisions to  
17 test and evaluate equipment containing on-board  
18 switching and high voltage components up to 4,160  
19 volts.

20           Therefore we believe that limiting the  
21 maximum voltage of continuous mining machines, up to  
22 2,400 volts, would unnecessarily restrict the design,  
23 and have written the Proposed Rule to allow approval  
24 of equipment with voltages up to 4,160 volts.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           First let me start by saying referencing  
2 high voltage long walls, with this Proposed Rule, is  
3 disingenuous. We are not talking about similar types  
4 of equipment. And I think that that should be noted.

5           The fact is the vast, there is a vast  
6 difference between these machines. The size and  
7 mobility of high voltage mining machines creates a  
8 variety of hazards that must be mitigated by  
9 requiring necessary safeguards, including limiting  
10 voltages.

11           It is important to remember that damage  
12 to high voltage mining machines, or cable supplying  
13 power to it, can come from numerous sources,  
14 including roof falls, rib falls, and from other  
15 mobile equipment, or other sources within the mining  
16 section.

17           To permit operators the unrestricted  
18 right to increase voltages beyond 2,400 volts,  
19 without knowing the problems that may be created is  
20 not safe. The UMWA would request that the Agency  
21 revisit the issue and prohibit the use of voltages  
22 above 2,400 volts on any piece of continuous mining  
23 equipment. And by that I mean continuous mining  
24 machines, obviously we are not discussing long walls.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           Secondly, the assertion that limiting the  
2 voltage would unnecessarily restrict design is  
3 contrary to the accepted safety practices, and a  
4 departure from the Agency on its directive to  
5 proactively protect the health and safety of the  
6 nation's miners.

7           The Agency must limit the use of untested  
8 systems, or equipment, until they are proven safe.  
9 Prohibiting the use of voltages higher than those  
10 already approved without first ensuring it can be  
11 done safely, is a diminution of safety.

12           MSHA does not possess the authority to  
13 permit untested and potentially life threatening  
14 conditions to be introduced into the mine.

15           Finally, regarding this matter, the  
16 torque energy generated by these 2,400 volt  
17 continuous mining machines is incredible. At least  
18 one fatal accident can be attributed to the force  
19 generated between the drum of a mining machine, and  
20 the mining face.

21           In this incident a bit struck the face  
22 and the force shattered the bit. Fragments of the  
23 bit were dispersed around the face area, and struck a  
24 miner operator on the neck causing fatal injuries.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           The union does not believe restricting  
2 the voltage to the current 2,400 volts approved in  
3 the position is unnecessary and illegally creating a  
4 potential lethal condition.

5           The union would seek the agency to  
6 prohibit the use of continuous mining machines with  
7 voltages beyond 2,400 volts, as is the current  
8 requirement.

9           You've heard a lot of discussion about  
10 splices. I will try to elaborate, just a little bit,  
11 without kind of covering over a whole lot of ground  
12 we already have been through.

13           We are disturbed that the agency does not  
14 seek to limit the number of splices permitted on high  
15 voltage trailing cables. Likewise, we are not  
16 supportive of a decision to permit the use of tape  
17 type splices on these cables.

18           In order to effectively address these  
19 issues I would like to discuss, at least in some  
20 detail, separately. By not limiting the number of  
21 splices on a high voltage trailing cable, the union  
22 believes MSHA has failed to adequately address a  
23 known problem area.

24           A determination to permit operators the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 latitude of unlimited cable repairs would  
2 institutionalize unsafe practice. The probability of  
3 shock hazards, or explosions of cable, increases  
4 significantly with each splice, permanent or  
5 otherwise.

6 Cable splices, no matter what their  
7 design, should be viewed as a temporary fix. Once a  
8 cable has been repaired numerous times there needs to  
9 be a realistic determination as to the safety  
10 protections afforded the miner who must work in and  
11 around these cables.

12 Inadequate splices are splices that have  
13 become worn or damaged over time present a real  
14 hazard to miners. Allowing unlimited splicing of  
15 cables increases this hazard to miners.

16 This is not the direction that the agency  
17 should be heading. When considering this section of  
18 the Proposed Rule the agency had a duty to look at  
19 all aspects of the possible hazards that could be  
20 created.

21 It is not to only includes the number of  
22 splices on a single cable, but the proximity of those  
23 splices in relation to the equipment being energized,  
24 as well as the proximity of splices to each other.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           The union does not believe relying on the  
2 sensitive nature of the grounding system would be  
3 sufficient protection for miners in this instance.  
4 The union does seek to have the agency revisit this  
5 section of the rulemaking and place reasonable limits  
6 on splicing high voltage trailing cables.

7           The union does not support MSHA's  
8 decision to permit the use of tape type splices on  
9 high voltage trailing cables. This practice has been  
10 accepted on other low and medium voltage cables, and  
11 is a problem within the mining industry.

12           Given the rigors these cables must endure  
13 it should be apparent that taping is not a suitable  
14 means for protecting miners from potential shock  
15 hazards. Anyone who has ever, has even a limited  
16 amount of experience within the mining industry can  
17 attest to the problems they have seen with these tape  
18 type splices.

19           The agency's inadequate attempt to lessen  
20 the potential problems to these types of splice  
21 created by requiring the use of self-vulcanizing tape  
22 is insufficient. This tape will inevitably roll on  
23 the cable jacket, or become tattered with use  
24 rendering it useless as a protection.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           These types of splices will lead to  
2 questions by cable handlers, and equipment operators,  
3 as to the extent of the damage in that particular  
4 area. Far too often the damaged area is in need of a  
5 complete splice, but taping is seen as a more cost  
6 effective and less time consuming process.

7           The union would request reconsideration,  
8 by the agency, and seek to have all damaged areas of  
9 high voltage cables spliced.

10           Training, the union has always understood  
11 the importance of training and education programs for  
12 members of the mining community. The components of a  
13 successful training program are rooted in 30CFR48.  
14 New miner training and/or refreshment and task  
15 training, when done properly, combine to offer miners  
16 necessary tools to safely perform the duties for  
17 which they are assigned.

18           These requirements, however, do not in  
19 the opinion of the union, satisfy the entire scope of  
20 training miners need in today's industry. Just as  
21 the union acknowledges the need to introduce new  
22 technologies, the agency and the industry must  
23 recognize the need to better train miners on health  
24 and safety protections that these technologies

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 require.

2 The introduction of high voltage mining  
3 machines into any operation will affect all miners  
4 working there. Obviously the miners working in the  
5 section where the equipment is being operated, will  
6 be the most directly impacted.

7 However, because of the nature of the  
8 industry today, it is likely that every member of the  
9 workforce will be exposed to this equipment.  
10 Understanding that reality must force each of us to  
11 understand the need to offer all the miners, in the  
12 operation, comprehensive safety training on this  
13 equipment.

14 This site specific training should be  
15 used to complement and expand on other training noted  
16 in Part 48. The decision by the agency to include  
17 this training in the annual refresher is inadequate.

18 The union has consistently argued that  
19 the requirements of that training is already taxed  
20 beyond a reasonable chance of accomplishing the  
21 already noted training mandates. Therefore it  
22 becomes extremely important that specific high  
23 voltage training be given to all miners where such  
24 equipment is utilized on a routine basis outside of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Part 48 requirements.

2 The union would request that the agency  
3 revisit their determination not to require special  
4 training on this matter. Further, the union will be  
5 available to the agency to offer constructive  
6 solutions for such training.

7 The union does understand, and  
8 encourages, a higher level of training for  
9 individuals whose job will include testing and  
10 repairing high voltage systems and cables.

11 On board power circuits, on page 42816,  
12 and it is column 2 at the bottom of the page, it  
13 states: Proposed paragraph E-1 would require on  
14 board ground phase indicator light to alert the  
15 machine operator if a ground phase condition would  
16 occur on any ungrounded three phase circuit.

17 However, on page 42820, section 3-C of  
18 the Federal Register, proposed paragraph 3 of 75824  
19 states that it would require a mine operator to  
20 implement certain procedures if a ground phase  
21 indicator light was provided on high voltage  
22 continuous mining machine. And it indicated a ground  
23 phase condition.

24 The union is unable to determine the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 agency's intent with respect to the on board ground  
2 phase indicator lights based on the writing of the  
3 preamble on the Rule.

4 The statements on the reference pages  
5 clearly contradict one another. The union believes  
6 that such an indicator light is necessary, is a  
7 necessary safety feature, and should be required on  
8 all high voltage equipment.

9 We would ask the agency to clarify their  
10 position before the union offers further comments on  
11 the matter. The union is in agreement with the  
12 agency regarding the use of grounding stick to  
13 discharge high voltage capacitors and circuits.

14 This practice will allow the safe  
15 discharge of stored energy ensuring that miners will  
16 not be exposed to high voltage conductors or parts.  
17 The union would also like to know if a high voltage  
18 trailing cable can and will store energy after being  
19 disconnected from the power source.

20 The UMWA would request the agency make a  
21 determination as to the potential of such an  
22 occurrence. Should the potential exist the union  
23 would request that MSHA make the necessary regulatory  
24 steps to ensure that the stored energy is safely

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 discharged, also.

2           Tramming of high voltage mining machines  
3 in and out of the mine, and from section to section.

4           The union sees the inclusion of the use of high  
5 voltage diesel power generators, in the high voltage  
6 continuous mining machine Proposed Rule is a matter  
7 that is not germane to the issue at hand.

8           The union strenuously objects to the  
9 agency's attempt to include this in the Proposed  
10 Rule. Considering the impact the introduction of  
11 high voltage diesel power generator would have on the  
12 underground workings of the mine, this issue must be  
13 dealt with in a separate rulemaking process.

14           It is inappropriate, and by the union's  
15 assessment, beyond the authority of the agency to  
16 proceed further with this rule, based on the  
17 inclusion of the generator language.

18           Therefore the UMWA would demand that the  
19 agency strike all reference to these generators from  
20 the high voltage continuous mining machine rule.  
21 Further, in accordance with section 101A3 of the  
22 Federal Mine Act of 1977, the union objects to the  
23 inclusion of the use of the high voltage diesel power  
24 generator in this Proposed Rule.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           The use of such equipment is not germane  
2 to the specified purpose of the Proposed Rule, and is  
3 in fact an issue that would require separate  
4 rulemaking.

5           Therefore, in accordance with Section  
6 101A3 the union requests public hearings on this  
7 objection. The union understands the Secretary has  
8 60 days from the close of the official comment period  
9 to schedule hearings on this matter.

10           We will monitor the Federal Register for  
11 notice of such hearings but would request official  
12 notification, from the Secretary's office, on the  
13 union's request that its international headquarters  
14 in Fairfax, Virginia.

15           I would like to point out, at this time,  
16 that the union will be presenting comments, later on  
17 this afternoon, on the low and medium voltage diesel  
18 power generator Proposed Rule. And while comments on  
19 that subject may not be appropriate at this part of  
20 the hearing, many of the comments that will be made  
21 at that time will also apply to the use of high  
22 voltage diesel power generators.

23           It is the union's belief that should the  
24 agency have felt it necessary to promulgate a rule

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 for high voltage generators, that would have been the  
2 appropriate place to include those.

3 Records of tests, section 75832G requires  
4 a qualified person who conducts the examinations, and  
5 tests, record any unsafe conditions found and any  
6 corrections taken. It further states proposed  
7 paragraph G would require that certifications and  
8 records be kept for at least one year.

9 It would be the union's experience that  
10 such certified persons would normally be the section  
11 or roving mechanic, as the case may be, depending on  
12 who you have at that time. Generally a non-  
13 management employee of the operator.

14 Given the language you are not requiring  
15 that these records be countersigned by management  
16 personnel. It would appear to the union that we have  
17 made this argument on several occasions, and someone  
18 from management should shoulder this responsibility  
19 for ensuring that the records are properly documented  
20 and stored.

21 In this writing of the Proposed Rule that  
22 does not appear to be the case. The union would  
23 request the agency revisit this section of the rule  
24 and ensure a management agent, or an agent of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 operator, is the ultimate responsible person.

2 From a practical standpoint I would like  
3 to talk, a little bit, about personal protective  
4 equipment. And in my previous testimony I did speak,  
5 briefly, about it. And I will try to be just as  
6 brief this time.

7 First, there is the question of wearing  
8 protective equipment when handling this cable. The  
9 union agrees that there must be some type of personal  
10 protective equipment afforded to miners by the  
11 operators, and that equipment should, and that that  
12 equipment should be used when handling high voltage  
13 mining machine cables.

14 There are, of course, different types of  
15 equipment available to each of us. There are, as  
16 prescribed in the Proposed Rule, properly tested and  
17 rated insulated gloves. This is probably the most  
18 common personal protective equipment used by miners  
19 when moving this cable, and that is currently.

20 However, as the Proposed Rule notes,  
21 there are also mitts, hooks, tongs, slings, aprons,  
22 and other protective equipment to be used while  
23 handling such cable.

24 The union recognizes that each of these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 has a practical use and limitations. However, if  
2 each of these PPEs are rated to be used for the  
3 specific application, with regard to handling high  
4 voltage cable, the miners should be able to select  
5 that equipment that best suits him or her, and that  
6 they would ultimately use.

7 It should become evident that equipment,  
8 no matter how well manufactured, will not be utilized  
9 properly if it is cumbersome. For instance, the  
10 union would agree that the use of properly tested and  
11 insulated tongs or hooks would be of great benefit to  
12 miners moving cable.

13 In fact, the union would suggest that a  
14 miner using this equipment may be safer than when  
15 using gloves simply because of his proximity to the  
16 cable itself.

17 However, requiring that a miner wear  
18 gloves while using the hooks or tongs does not appear  
19 to make practical sense. The union believes that  
20 there is a need to require the operator to supply a  
21 variety of PPEs, and afford the miner the opportunity  
22 to determine what safety equipment best suits them.

23 Trailing cable installations, the union  
24 is concerned that certain requirements of section

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 75827 introduce hazards into the mining environment  
2 that otherwise would not exist. There is no doubt  
3 that safeguards must be required at the mining  
4 operations that utilize high voltage.

5           However, the Proposed Rule appears to  
6 include demands that impeded safety. The union  
7 understands and agrees with the determination that  
8 extra high voltage cable should be stored in a  
9 location protected from damage by mobile equipment or  
10 other sources.

11           However, the Proposed Rule in fact  
12 encourages operators to move the cable to a location  
13 where barricading or such protective measures are not  
14 required. Unfortunately the other location in the  
15 mining sections such protection is not required, is  
16 in, or in-by the last open crosscut.

17           While this may be a legal solution for  
18 the operator it is neither a practical or safe  
19 solution for the miners in the section. The worse  
20 place to have extra cable, especially high voltage  
21 cable, is placed at this location.

22           The potential to have this cable damaged  
23 and, thereby, pose a health and safety threat to  
24 miners is precisely what the rule does. The agency

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 must reexamine this situation and create a viable  
2 alternative.

3 To further complicate this dangerous  
4 situation the Proposed Rule requires the cable to be  
5 hung in entries where equipment will be operated.  
6 From the outsider's view that may well seem to be the  
7 best location.

8 The union understands many, if not all of  
9 the PDOs require this situation. Hanging the cable  
10 along the section ribs with no mobile equipment is  
11 not, in the union's opinion, a safe solution.

12 The real possibility of striking this  
13 cable with the machine's canopy does exist. Should  
14 that occur the risk to the miner, from the electrical  
15 shock, or exploding cable, is very real. Because of  
16 the nature of the mining sections routine operations  
17 the union believes allowing the cable to be placed  
18 along the rib, on the bottom, would be safer for  
19 miners.

20 This, in our estimation, greatly reduces  
21 the risk of a serious injury. The union, however,  
22 does not want to indicate, by these statements, that  
23 the cable should never be hung.

24 In fact it is our determination that at

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 all locations where mobile equipment will encounter  
2 the high voltage cable it must be hung. For instance  
3 in crosscuts if you are going from one crosscut to  
4 the other to mine coal.

5           There is, in the union's opinion, never a  
6 safe time for tramming equipment over such cables,  
7 even with portable bridges. The union does support  
8 the requirements of the agency that suspended cables  
9 must be guarded by non-metallic flame resistant  
10 material at all locations where it is suspended on  
11 the mine roof.

12           We also agree that the cable must be  
13 suspended on approved insulators. And just, I guess,  
14 to briefly expand and then close my comments, I do  
15 appreciate the presentation that was given on  
16 voltages and the possibility of shock hazards by the  
17 doctor.

18           I am a little concerned, as we go down  
19 this path, that we become complacent with what we are  
20 dealing with here. To look at this situation, if we  
21 drew this scenario out, or this theory out that was  
22 being presented, I almost feel like if you give me  
23 that bare cable I can grab a hold of it, and run with  
24 it, and we will just all be okay, as long as I set

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 those ground fault trips low enough.

2 I think we can all realize that,  
3 practically, that is not the case. And while I do  
4 appreciate the presentation, and I do understand that  
5 working these theories through is a necessary thing,  
6 practical application in the mining industry is not  
7 nearly the same as working it out on paper.

8 And I think we need to be cognizant of  
9 that fact, and I think in most cases we all are. But  
10 I think that sometimes the presentations kind of give  
11 indications that, you know, we can do things that  
12 aren't practical within the industry.

13 If you have any questions I would be  
14 happy to try to answer them.

15 MR. NICHOLS: Thanks, Tim. Larry has  
16 one.

17 MR. CHECCA: You asked for clarification  
18 on the ground detector light on board the machine?

19 MR. MIHALLIK: Yes.

20 MR. CHECCA: In one part of the rule,  
21 under part 18, there was a requirement that if the  
22 circuit was ungrounded they had to supply this  
23 grounded phase detector light. We tried to write it  
24 in such a way that if the design changed, where that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 circuit became grounded we didn't need that detection  
2 circuit any longer.

3 So we wrote it to say if it is not  
4 grounded you have to supply a grounded phase detector  
5 light. If it is grounded you don't have to. That  
6 was the part 18 requirement on the machine design.

7 Then we have, also, in part 75 we have a  
8 requirement to do this test. So that is why it is in  
9 multiple -- do the test if it is there. If that  
10 makes sense to you.

11 MR. MIHALLIK: Well, I think it does. If  
12 you are telling me that part 18 requires it?

13 MR. CHECCA: If it is ungrounded.

14 MR. MIHALLIK: Now, what does that do in  
15 relationship to part 75? Because the way I read it,  
16 it says, if it is there.

17 MR. CHECCA: Right.

18 MR. MIHALLIK: You have to take certain  
19 precautions.

20 MR. CHECCA: Right.

21 MR. MIHALLIK: But if it is not, it is  
22 just -- I mean, --

23 MR. CHECCA: They don't have to --

24 MR. MIHALLIK: It is not going to be a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 requirement?

2 MR. CHECCA: Yes, because it is not  
3 required.

4 MR. MIHALLIK: Okay.

5 MR. NICHOLS: Thanks, Tim.

6 MR. MIHALLIK: Thanks. Dennis Odell?

7 (No response.)

8 MR. NICHOLS: Okay, Jimmy Tayler.

9 MR. TAYLER: Yes, I just have a couple of  
10 comments.

11 MR. NICHOLS: You have some new stuff for  
12 us?

13 MR. TAYLER: Well, just a couple.  
14 Because I heard some things that was brought up by  
15 Dave Beerbower, who is vice president of safety for  
16 Peabody.

17 I just wanted to explain a couple of  
18 things. They asked for, on 75832A, instead of once  
19 every seven days to be weekly. What you have to  
20 understand is that weekly can stretch to 13 days,  
21 because you can do it on Monday of one week, and  
22 Friday on the next.

23 I want you to understand that there is a  
24 gap there that can go to 13 days. And the other

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 thing was number 2, at the beginning of each  
2 production shift the responsible person, we teach our  
3 men, every day, to do preop checks of our equipment,  
4 that is before we put it in service.

5 With sometime during the shift it could  
6 be at the end of the shift you could have a damaged  
7 cable, at the beginning of the shift, run for seven  
8 hours and fifteen minutes before it is checked. So we  
9 teach our guys, on a preop check, which are required,  
10 check your brakes, check your lights, check your  
11 trailing cables, everything before you put that piece  
12 of equipment into service.

13 And that is the way it is going to be, it  
14 needs to stand, the way you have it written, it is at  
15 the beginning of the shift. Those are the only two  
16 comments I had. Thank you.

17 MR. NICHOLS: Okay. David, do you want  
18 to respond to that, or are you okay?

19 (No response.)

20 MR. NICHOLS: Anybody else want to add  
21 anything to their previous testimony?

22 (No response.)

23 MR. NICHOLS: Okay. Is there anyone else  
24 in the audience, period, that wants to speak on the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 high voltage continuous miner rule? Come on up.

2 MR. PALMER: My name is John Palmer and I  
3 work over at Federal number 2 coal mine. I have been  
4 there for about 30 years.

5 There is, I'm a little nervous here.

6 MR. NICHOLS: That is okay.

7 MR. PALMER: But, you know, my concern is  
8 I was always taught, when I went in a coal mine,  
9 about power, from the older gentlemen. It seems  
10 like, to me, that we are going backwards instead of  
11 forwards.

12 So I'm talking as a working man. What I  
13 don't understand, we have 7,200 cable in the coal  
14 mine. I was always taught you never touch that 7,200  
15 cable with power on it. But now I'm in a meeting, 30  
16 years from now, from 1975 until now, that it is all  
17 right for people to work with high voltage cable with  
18 power on it.

19 I mean, you know, I don't know if you are  
20 putting dollars in front of men. But it seems like,  
21 to me, that is what we are doing. We are always, you  
22 know, when I first started in the mines, in 1975,  
23 they put us on a twin board miner.

24 We was all red hats, we just got them

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 off, we got our 90 days. We was put in solid rock.  
2 I don't know if you people know what rock is in a  
3 mine. But we had an old twin board just cutting  
4 coal, you know, it was supposed to cut coal.

5 But we mined in that rock, we had to  
6 change our bits and stuff. But we mined through that  
7 place. Folks, I think what we are doing, you know,  
8 this is my own opinion.

9 When you put another varmint up there for  
10 people to grab a hold of, or touch, you are putting  
11 something up there that is going to hurt somebody or  
12 kill somebody.

13 And I want this to be known, that I'm  
14 speaking for younger generations, and everybody else.

15 You know, I don't think it is right that you put a  
16 dollar in front of people. And I think that is what  
17 is going on.

18 You know, I pray that it never comes to  
19 Federal 2, I'm hoping it don't. But these folks  
20 that's got it, I feel sorry for them. Because it  
21 only takes a little pinhole, or anything.

22 You know, in this cable we have now, it  
23 can electrocute you. And, you know, when you smell  
24 somebody that got shocked, or electrocuted, it is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ugly, it is a rotten smell.

2 And I'm praying, and hoping, that you  
3 folks up here on this board looks for the people, a  
4 lot of the people in this room that will have to be  
5 handling this cable, which there is people right now  
6 handling it.

7 You know, gloves, you know, where I work  
8 it is wet right now. We got into some bad  
9 conditions. You know, it used to be pretty dry. But  
10 when you are in water, and stuff like that, and  
11 playing with power, it is bad folks.

12 I don't know how many of you people have  
13 been working in the mines, you know? I'm speaking  
14 for all, you know, all workers, I hope. You know, we  
15 don't need another varmint that is going to hurt us.

16 And I think that is what we are getting  
17 into, people. And I just want to thank you for your  
18 time in listening to me. That is how a bunch of us  
19 feels, though. We face a lot of bad conditions.

20 MR. NICHOLS: I think we understand your  
21 position.

22 MR. PALMER: I appreciate it, sir. Thank  
23 you.

24 MR. NICHOLS: Anybody else?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (No response.)

2 MR. NICHOLS: Okay, let's close the  
3 record on the high voltage continuous miners.

4 (Whereupon, at 12:11 p.m., the above-  
5 entitled matter was concluded.)

6